

COMMONWEALTH OF PENNSYLVANIA  
HOUSE OF REPRESENTATIVES  
ENVIRONMENTAL RESOURCES AND ENERGY COMMITTEE

\* \* \* \* \*

PUBLIC HEARING IN RE: BILL HB 2213 PN3106

\* \* \* \* \*

BEFORE: CAMILLE BUD GEORGE, Chairman  
SCOTT E. HUTCHINSON, Chairman  
Bryan Barbin, Michael Carroll, Matthew  
Gabler, Members

HEARING: Thursday, February 18, 2010  
Commencing at 12:58 p.m.

LOCATION: Knights of Columbus  
512 Arnold Avenue  
Clearfield, PA 16830

WITNESSES: John T. Hines, Dana K. Aunkst, John K.  
Baillie, Thomas Beauduy, Kathryn Klaber,  
David Spigelmyer, Scott Perry

Reporter: Jackie L. Hazlett

Any reproduction of this transcript  
is prohibited without authorization  
by the certifying agency.

I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

OPENING REMARKS

By Chairman Camille Bud George 3 - 5

STATEMENT

By Chairman Scott E. Hutchinson 5 - 6

TESTIMONY

By John T. Hines 6 - 41

By Thomas W. Beauduy 41 - 59

By John K. Baillie, Esquire 60 - 73

By Kathryn Z. Klaber and David Spigelmyer 73 - 112

STATEMENT

By E. Thomas Kuhn 113

## P R O C E E D I N G S

CHAIRMAN GEORGE:

1  
2 -----  
3  
4 If you will, we'll commence with the  
5 hearing that has been called by the Environmental  
6 Committee. And the matter we will discuss today is  
7 water preservation and protection, in that we  
8 anticipate a great deal of activity in certain parts  
9 of Pennsylvania that will come about from the drilling  
10 of Marcellus Shale.

11 I'd like to ask my members --- and I  
12 apologize. There are certain areas of this state  
13 where it snowed two or three inches last night, and  
14 they apparently anticipated that the roads would be  
15 bad. But I want to congratulate all concerned as the  
16 roads were pretty bare, so they did a commendable job.  
17 I'll start on my right and have the individuals  
18 introduce themselves.

MR. CARROLL:

19  
20 My name is Mike Carroll. I represent  
21 parts of Luzerne and Monroe Counties in northeastern  
22 Pennsylvania.

MR. BARBIN:

23  
24 Okay. Bryan Barbin. I represent Cambria  
25 County. I'm from Johnstown.

1                   CHAIRMAN HUTCHINSON:

2                   Representative Scott Hutchinson from  
3 Venango County. I live in Oil City. It's a pleasure  
4 to be here and I think it's a very important topic we  
5 have today.

6                   MR. GABLER:

7                   Matt Gabler from across the mountain over  
8 in DuBois. I represent the northwest corner of  
9 Clearfield County and all of Elk County.

10                  CHAIRMAN GEORGE:

11                  I thank the gentlemen for their  
12 attendance. The purpose of this hearing is to solicit  
13 testimony on mitigating environmental risks associated  
14 with drilling in the Marcellus Shale formation in  
15 general and House Bill 2213 in particular. You will  
16 find on the back table a copy of this legislation,  
17 along with a bill analysis and comment on House Bill  
18 2213 prepared by our staff.

19                  While Pennsylvania's no stranger to gas  
20 exploration, the Marcellus Shale deposits present new  
21 challenges to our current system of drilling. The  
22 size and magnitude of the well drilling poses new  
23 challenges. They must be examined and understood to  
24 ensure that the industry, as well as the environment,  
25 are protected.

1                   To better understand the mechanisms  
2 involved in the drilling process along with the  
3 potential environmental concerns posed by this new  
4 water-intensive drilling, we have invited various  
5 individuals here today to testify before the  
6 Environmental Resources and Energy Committee. By  
7 becoming educated about the Marcellus Shale and the  
8 fracking used to extract this valuable resource, I  
9 believe legislation will come to understand those  
10 areas where we will best be able to serve the people  
11 of this fine Commonwealth. I turn to my colleague  
12 Chairman Hutchinson.

13                   CHAIRMAN HUTCHINSON:

14                   Thank you, Mr. Chairman. It is a  
15 pleasure to be here today. I do come from Oil City,  
16 Pennsylvania, but --- and there is a long history of  
17 oil and gas drilling in Pennsylvania, and I think it  
18 is important that we do it right. My area of the  
19 state, I'm told, will not have Marcellus Shale  
20 drilling per se, in the near future anyways. It is  
21 not --- it's technically within the Marcellus area but  
22 not a more lucrative area to drill.

23                   But be that as it may, I think we in  
24 Pennsylvania have to make sure that what laws are on  
25 the books are adequate to deal with any environmental

1 problems that may occur in drilling. But it's also  
2 very important that we take advantage of this  
3 wonderful natural resource to help build the economy  
4 in Pennsylvania.

5           And so I think there is a balance that  
6 can be struck there and I look forward to learning  
7 more at today's hearing, and I thank the Chairman for  
8 inviting us to Clearfield County, which I'll have you  
9 know, Clearfield County is where both of my parents  
10 were born and raised so it's good to be back in the  
11 old homestead area. Thank you, Mr. Chairman.

12                           CHAIRMAN GEORGE:

13           I thank you. We have a full --- we have  
14 a full agenda this afternoon, and consequently it is  
15 imperative that those presenting their testimony keep  
16 their presentations within the allotted time. Your  
17 complete testimony should be submitted for the record.  
18 And without further ado, testifying first is John  
19 Hines, Deputy Secretary of Water Management for the  
20 Pennsylvania Department of Environmental Resources.  
21 Welcome, Mr. Hines.

22                           MR. HINES:

23           Thank you, sir. Thank you, Chairman  
24 George, Chairman Hutchinson.

25                           CHAIRMAN GEORGE:

1           You can introduce your colleagues, if you  
2 will.

3           MR. HINES:

4           I will do so. With me today to my right  
5 is our Bureau --- our Director of our Bureau of Oil  
6 Gas Management, Scott Perry. And to my left is our  
7 Director of Water Standards and Facilities  
8 Regulations, Dana Aunkst. I do want to thank you for  
9 this opportunity for the Department to provide input  
10 at this hearing. This issue has basically taken much  
11 of the Department's time as we focus on the Marcellus  
12 Shale.

13           I want to start out with a quote, and it  
14 is, children who are born into a culture rich with  
15 water learn to live with it, but often times we don't  
16 respect it. And if you look at Pennsylvania across  
17 the board, we are blessed with 86,000 miles of  
18 streams, 4,000 lakes, an estimated 83,000,000,000  
19 gallons of groundwater. We have a toehold on the  
20 Great Lakes system, which connects us to 20 percent of  
21 the world's fresh surface water. We're truly blessed.  
22 We live with it, but living with it, sometimes we do  
23 not respect it.

24           With every --- with the ever-increasing  
25 energy demands that have taken place in this country,

1 we are at a crossroads. We're at a crossroads of  
2 decision-making in the Commonwealth of Pennsylvania.  
3 How will we deal with energy development while  
4 protecting our water resources?

5 National Geographic estimates that by  
6 2025 2.7 billion people on the face of the planet will  
7 not have access to water, period. The decision we  
8 make today will have an impact on tomorrow. I'll put  
9 it simply, gentlemen. Our job is to produce the gas  
10 and protect the water for our future. Can everybody  
11 hear me okay? I think we're all right now.

12 UNIDENTIFIED:

13 No.

14 MR. HINES:

15 I don't know if I'll be able to repeat  
16 that. Yeah, I might have to hold that --- is this  
17 better? Here we go.

18 CHAIRMAN GEORGE:

19 We'll try that again.

20 MR. HINES:

21 Well, I won't go --- I think everybody up  
22 front heard me and I won't go back to that portion of  
23 my remarks. Can everyone hear me now?

24 UNIDENTIFIED:

25 Yes.

1                   MR. HINES:

2                   As I was saying, gentlemen, we are at a  
3 crossroads in Pennsylvania, protecting our water  
4 resources while producing the gas that comes about in  
5 its play, and the decisions we have to make play a  
6 huge part in it. Extracting natural gas from the  
7 Marcellus Shale formation requires horizontal drilling  
8 and a process known as hydraulic fracturing.

9                   This process uses greater amounts of  
10 water than traditional oil and gas drilling. Drilling  
11 for natural gas from the shale requires pumping large  
12 amounts of water, sometimes in the magnitude of a few  
13 million gallons, along with sand and other chemicals  
14 into the formation, fracturing the shale around the  
15 well and allowing the gas to flow freely.

16                  When pressure --- or when the pressure is  
17 released, some water will flow back to the surface.  
18 In addition, once the hydraulic fracturing process is  
19 complete, the used water must be treated or disposed  
20 of. And that is one of the biggest issues we at the  
21 Department face now is the treatment of frac water and  
22 how we move forward.

23                  Part of our discussion today is related  
24 to the management of wastewater. The Department  
25 utilizes a number of acts to do so. First is the Oil

1 and Gas Act, second is the Pennsylvania Clean Streams  
2 Law, third is the Dam Safety and Encroachments Act,  
3 and fourth is the Solid Waste Management Act, as well  
4 as a federal requirement that we hold primacy the  
5 federal Clean Water Act. This creates an umbrella for  
6 us in managing that play overall.

7           And by statute, since water generated by  
8 these wells is considered as a residual waste, it must  
9 be contained, one, in impermeable tanks or  
10 impoundments, and two, be treated or disposed of at a  
11 permanent facility that's approved to receive waste  
12 water. The solid, the solid waste that is produced,  
13 processed and disposed at the well site is regulated  
14 under the Oil and Gas Act and the oil/gas regulations.

15           Once these wastes are removed from the  
16 site, well site, they are governed by Pennsylvania  
17 solid waste and the residual waste regulations. As  
18 such they are required to be transported, stored,  
19 transferred, processed, treated and disposed in  
20 accordance with 25 Pennsylvania Code, Chapters 20, 287  
21 to 299.

22           Our challenge stems from determining the  
23 cost-effective means to treat and dispose of the water  
24 safely and effectively. The Department has spent an  
25 inordinate amount of time of tying our existing

1 programs together so we can manage this play  
2 seamlessly and effectively.

3           Despite our best efforts to educate the  
4 public and the media, rumors persist that the  
5 chemicals used in the fracing process are secret and  
6 that DEP has no knowledge of what chemicals are used.  
7 On the contrary, the Department has material safety  
8 data sheets from the industry that disclose all  
9 chemicals used by the various fracing companies.  
10 These sheets are also made available to local  
11 emergency responders and are of public record.

12           DEP has posted a list of basic chemicals  
13 used in the fracturing process on its website and many  
14 of the companies operating in the Marcellus Shale have  
15 posted similar company-specific information on their  
16 collective websites. I should note, however, that  
17 while DEP does know what chemicals are in the frac  
18 fluid, we do not know the exact proportion of the  
19 chemicals used as the industry considers this  
20 information to be a trade secret.

21           The treatment and disposal of wastewater  
22 proposes a challenge to the Department and the oil and  
23 gas industry. From a water quality perspective, our  
24 key issues to deal with are total dissolved solids,  
25 T.D.S.

1 T.D.S. is a measure of all elements  
2 dissolved in water and can include carbonates,  
3 chlorides, sulfates, nitrates, sodium, potassium,  
4 calcium and magnesium. Sources of T.D.S. include  
5 sewage treatment plants --- or sources that T.D.S. can  
6 come from include sewage treatment plants, storm water  
7 runoff, meat packing, vegetable processing, bakeries,  
8 beverage processing facilities, leather processing,  
9 electric services and acid mine and abandoned mine  
10 drainage.

11 As you can see, when we deal with T.D.S.  
12 issues we're not only dealing with the oil gas  
13 industry but just about any discharge that we have  
14 throughout the Commonwealth. In fact, many of the  
15 areas where the drilling for natural gas is proposed  
16 have a history of mining activities and are affected  
17 by A.M.D. That history has left the Commonwealth with  
18 a difficult pollution legacy. Considering the already  
19 elevated levels of dissolved solids in some areas of  
20 the state, stringent control of dissolved solids will  
21 likely be necessary for us to further protect water  
22 quality.

23 The problem of T.D.S. is a very real  
24 issue in Pennsylvania waterways. In the years 2008  
25 and 2009, T.D.S. levels exceeded drinking water

1 standards along the Monongahela River. This serves as  
2 a reminder and a warning that rivers and waterways can  
3 only dilute so much pollution before the water quality  
4 reaches unacceptable levels. In addition,  
5 Pennsylvania water treatment plants are not equipped  
6 to remove T.D.S. from drinking water and these  
7 pollutants are delivered through pipes and out of the  
8 taps of our residents.

9           Last April the Department took action and  
10 issued a Permitting Strategy for High T.D.S.  
11 Wastewater Discharges. This strategy presents an  
12 approach that allows the Department, until proposed  
13 regulations are final, to effectively deal with the  
14 increasing demand for assimilative capacity in our  
15 waterways.

16           As a major part of this strategy the  
17 Department has proposed Chapter 95 Wastewater  
18 Treatment requirements, new requirements in our  
19 Chapter 95 regulations. To date the Department has  
20 held four public meetings regarding this proposed  
21 regulation revision and has received numerous,  
22 numerous comments. Close to 2000 commenters  
23 (phonetic) at this point in time have provided  
24 comment, some encouraging the Department with the  
25 adoption of this regulation, others coming up with

1 ideas on how we can further this draft and look at  
2 other options.

3           The Department has heard from various  
4 presenters from the environmental stakeholder groups  
5 that could be impacted by the change in this  
6 regulation, including the oil and gas industry. Prior  
7 to these draft changes being made, our own Water  
8 Resources Advisory Committee noted concerns over the  
9 technologies available for treatment of high T.D.S.  
10 wastewater, as well as the costs associated with that  
11 treatment.

12           As such, this Water Resource Advisory  
13 Committee requested that the Department work with a  
14 subcommittee to specifically address these concerns.  
15 This was agreed and directed by the Environmental  
16 Quality Board for us to sit down with a variety or a  
17 subcommittee of our Water Resource Advisory Committee  
18 made up of a variety of stakeholders who would work  
19 with us on two key issues, technologies available and  
20 economic burden to our industries across the state in  
21 dealing with treatment.

22           We have been working with them since  
23 August. We've had a number of ideas fleshed out, and  
24 we will continue to do so throughout the public  
25 comment period and as we move forward to a final

1 regulation.

2           The subcommittee has further examined the  
3 technologies available and costs associated with  
4 treatment of T.D.S. and has determined that  
5 technologies exist to remove pollutants so that the  
6 resulting effluent can be discharged in streams.  
7 However, the capacity to treat the expected levels of  
8 wastewater is not yet available. Numerous permit  
9 applications for these types of facilities have been  
10 submitted to the Department and are currently being  
11 reviewed.

12           Other disposal for wastewater are  
13 available such as underground injection or passive  
14 evaporation basins. Underground injection is not  
15 currently available in Pennsylvania at the capacity  
16 necessary to handle the amount of wastewater that is  
17 generated so much of this type of disposal is taking  
18 place in other states. In addition, the costs  
19 associated with the transportation of wastewater also  
20 limits the use of underground injection.

21           Pennsylvania's climate does not lend  
22 itself readily to the use of large evaporation basins,  
23 which are frequently used in more arid sections of the  
24 country. The most likely treatment technology,  
25 evaporation and distillation, is an energy-intensive

1 activity and has been viewed by the industry as cost-  
2 prohibitive.

3           The initial cost estimate provided by the  
4 Department for the treatment of the --- are  
5 approximately 25 cents a gallon. Industry estimates  
6 suggest that those costs could be estimated between 12  
7 cents and 25 cents per gallon, so the technology  
8 purveyors that have been in the Department have  
9 estimated the cost for treatment to be between ten  
10 cents and twenty cents per gallon.

11           The Department is encouraging the reuse  
12 and recycling of wastewater. This will cut down on  
13 water withdrawals and dramatically reduce the amount  
14 of water being taken at --- taken to treatment plants.  
15 The Department has heard reports that up to 50 percent  
16 of operators are reusing at least a portion of the  
17 wastewater. Some operators have reported nearly 100  
18 percent reuse.

19           Regardless, even with reuse and  
20 recycling, we still must find a solution for the flow-  
21 back and production fluids that cannot be reused. As  
22 drilling activities continue to increase in  
23 Pennsylvania, the Department fully anticipates the  
24 need for increased treatment capacity, even at the  
25 reduced flow-back estimates.

1                   The Department realizes and acknowledges  
2 that while no energy source is perfect, that natural  
3 gas is one of the best clean fuel options we have  
4 available to us today. Some communities have  
5 experienced small fish kills from minor spills,  
6 complications from erosion and sediment control  
7 violations and during drilling operations and like  
8 those in Dimock, Susquehanna County and along Hedgehog  
9 Lane in Bradford Township, where methane was detected  
10 in the drinking wells of residents as a result of gas  
11 migration.

12                   When these problems occur, the Department  
13 quickly responds by requiring cleanup, as well as  
14 imposing fines, revoking permits or ordering drilling  
15 operations to cease. In addition the Department  
16 closely monitors operations at well sites through  
17 routine inspections.

18                   And I must note that in some of the  
19 erosion and sedimentation violations, the Department  
20 took the first step, not only to issue the notice of  
21 violation to the company, but also to the engineer who  
22 designed the plans for that particular site. That's  
23 definitely one of the first steps we've taken in that  
24 direction.

25                   In addition to protecting our surface

1 waters, the Department is working to improve our well  
2 construction standards to protect the public from gas  
3 migration events. Both DEP and the oil and gas  
4 industry recognize that gas migration is not  
5 acceptable. A properly cased and cemented well is  
6 critical to containing gas, oil and other fluids  
7 within the well bore.

8           The draft regulations make important  
9 improvements through such measures as pressure testing  
10 casing used in Marcellus Shell and other high pressure  
11 wells, and further defining the specifications for  
12 oilfield grade cement to be used for the well casing.  
13 Draft regulations will also require operators to  
14 inspect all existing wells quarterly to insure that  
15 each well is structurally sound and report the results  
16 of each inspection to the DEP.

17           As mentioned, these draft regulations  
18 were developed with the valuable assistance of our Oil  
19 and Gas Technical Advisory Board. At the Board's  
20 January 21st, 2010 meeting, members voted unanimously  
21 to recommend the Department move forward in finalizing  
22 these regulations.

23           The regulations and protections I've  
24 described above are all-important to the protection of  
25 our natural resources. However, gentleman, it means

1 very little if the Department does not have the  
2 sufficient staff necessary to inspect well sites and  
3 oversee the environmentally protective development of  
4 this resource.

5           Through the increased well permit fees,  
6 the Department was able to add an additional 37 people  
7 to its regional permitting, compliance and enforcement  
8 staff in 2009. While this additional complement has  
9 been able to oversee the current level of development,  
10 they will not be able to do the job if the Marcellus  
11 well drilling activity triples in 2010, as has been  
12 estimated.

13           In addition, the governor directed the  
14 Department to hire an additional 68 Oil and Gas  
15 Compliance and Enforcement staff in response to this  
16 continued dramatic growth. These positions will be  
17 100 percent funded from money generated with new  
18 higher permitting fees instituted in 2009 that are  
19 based on well length and type. The new permit fees,  
20 which have not been increased since 1984, were enacted  
21 with the support of the environmental community and  
22 organizations representing the oil and gas industry  
23 including the Marcellus Shale Committee, the  
24 Pennsylvania Oil and Gas Association and the  
25 Independent Oil and Gas Association of Pennsylvania.

1           Gentlemen, in closing, DEP is working  
2 each day to ensure that natural gas is produced  
3 responsibly and our water resources are protected.  
4 We'll continue to work with our legislature, our other  
5 agencies, environmental workers, agents of the oil and  
6 gas industry to develop these resources responsibly.

7           Chairman George, Chairman Hutchinson,  
8 members of the Committee, I thank you for your  
9 attention. I look forward to your thoughts and  
10 questions. Thank you.

11           CHAIRMAN GEORGE:

12           I thank you for your testimony. I assume  
13 you'll stand for questioning?

14           MR. HINES:

15           Yes, sir.

16           CHAIRMAN GEORGE:

17           I'll start with my right. Representative  
18 Carroll, do you have any questions?

19           MR. CARROLL:

20           Thank you, Mr. Chairman. I'll try to  
21 speak loudly so folks can hear. You mentioned that in  
22 some other states there is underground injection  
23 devices. Where are those other states?

24           MR. HINES:

25           Underground injection occurring? I

1 believe right now the way the underground injection  
2 program is run, it is actually monitored by E.P.A. in  
3 Pennsylvania. West Virginia, the sistering (phonetic)  
4 state, West Virginia has underground injection, as  
5 does Ohio. I'm not certain if New York does, and ---.

6 MR. CARROLL:

7 And could you tell me, generally  
8 speaking, the wastewater treatment facilities we have  
9 in our state, how many of those are capable of  
10 handling and treating frac water properly?

11 MR. HINES:

12 I'm going to defer to my colleague, Dana.

13 MR. AUNKST:

14 Currently we probably have --- and again,  
15 this dynamic changes weekly. I would estimate  
16 currently about 17 or 18 facilities that are approved  
17 to accept and treat this type of wastewater. They are  
18 almost all located in the northwestern part of  
19 Pennsylvania and southwestern part of Pennsylvania,  
20 because historically that's where the industry has  
21 been.

22 MR. CARROLL:

23 What steps will have to be taken in order  
24 for those kinds of facilities to be approved in the  
25 northeast part of the state?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. AUNKST:

Currently we do have --- currently we have permit applications in-house in both north central and northeastern regional offices for new facilities. There are 16 in the north central office, I believe, three in the northeast office.

These will be brand new facilities that would have to be built to treat this type of wastewater. The treatment essentially consists of removing metals, adjusting P.H. and addressing the total dissolved solids through some type of technology, and right now it looks predominantly like that's going to be distillation.

MR. CARROLL:

Okay. Finally, just a comment. We really do have to get this right. You know, the folks that I represent are the descendents of the folks who worked in the anthracite coal industry. And we have a, you know, a noteworthy legacy when it comes to anthracite coal mining in northeastern Pennsylvania.

You know, we can't have any kind of a repeat of any of those errors that were made. And so it really does fall on the Department's shoulders to get this right as the regulatory agency. And I have great faith that we've come a long way, both on the

1 industry side and on the governmental side with  
2 respect to how we're going to move forward. But we  
3 really do have to get this right, because at the end  
4 of the day, you know, the water is an unbelievably  
5 valuable resource for all sorts of reasons.

6           And so I implore the Department, and I'll  
7 do the same thing with the industry, as well, that we  
8 have to partner, because we can't have a tug of war  
9 here where the Department tries to regulate and the  
10 industry is trying to avoid. We have to be partners  
11 in this effort, and I think we can get there if we're  
12 smart about it and if we have an open mind about it.  
13 It's crucially important for the folks who have a  
14 reliance on water and for people who have a reliance  
15 on making sure that they can live in their homes in a  
16 safe and appropriate way.

17           So thank you very much for your  
18 appearance here today. This is a vitally important  
19 subject to the folks I represent, and I appreciate  
20 Chairman George having a hearing.

21           MR. HINES:

22           Thank you, sir.

23           CHAIRMAN GEORGE:

24           Representative Barbin?

25           MR. BARBIN:

1           Thank you, Mr. Chairman. My questions  
2 relate to --- is it true that when you're trying to  
3 come up with these regulations and you're trying to  
4 reduce the overall total dissolved solids that you  
5 have to deal with two issues, both salts as well as  
6 metals; is that a true statement?

7           MR. AUNKST:

8           Yes.

9           MR. BARBIN:

10           Is it also true that the --- that when  
11 you're trying to make the total dissolved solids  
12 number, you have to look at the existing stream and  
13 what their salts or their metal --- is that currently  
14 how it's done? Do you look at both of those factors?

15           MR. AUNKST:

16           Yes.

17           MR. BARBIN:

18           So when we're doing this regulation, is  
19 it necessary for regulations to have --- not only look  
20 at getting rid of the heavy metals, but also the salt  
21 in relationship to what that particular existing  
22 stream has already? Is that fair?

23           MR. AUNKST:

24           That's correct, that's correct.

25           MR. BARBIN:

1           Okay. So when we do a regulation, we  
2 have to make sure that our regulation is not only  
3 specific to what the wastewater is, but also to the  
4 stream, because we've all read about what's happened  
5 in the Monongahala. And what were hearing is, is that  
6 that stream is already at a level that exceeds the  
7 safe drinking water standards before any wastewater or  
8 brine would come into that waterway. So is your  
9 regulation going to address that issue, as well as  
10 this total number?

11                   MR. AUNKST:

12                   Yes.

13                   MR. BARBIN:

14                   And I guess how, how does it do that?

15                   MR. AUNKST:

16                   Actually regulations in place now are  
17 water quality standards in place to protect the  
18 streams themselves, specifically, site specifically,  
19 such that they meet the designated uses which are for  
20 the protection of fish and aquatic life, the  
21 protection of drinking water sources, and the  
22 protection of industrial waste sources for recreation,  
23 those types of uses. And the standards have been  
24 developed in stream. Actual merit criteria values  
25 have been developed in streams in Pennsylvania, and

1 they must be met and maintained. And that's how we  
2 protect the individual streams.

3           The other side of that issue is an  
4 effluent standard, a treatment requirement that a  
5 minimum level of treatment needs to be provided by all  
6 facilities of this category to level the playing field  
7 and distribute the economic burden fairly and  
8 equitably. That's called a technology-based standard.

9           So the combination of the technology-  
10 based standard for all industries and then if there's  
11 a need to make the effluent limits more stringent to  
12 meet the criteria specific to that stream, those  
13 numbers are then implemented through our permitting  
14 process as effluent numbers. So you get the more  
15 stringent of the stream-based limits or the  
16 technology-based limits as your effluent. So yes,  
17 it's a two-tiered level of protection.

18           MR. BARBIN:

19           And Mr. Chairman, thank you for allowing  
20 me to ask these questions. I look forward to working  
21 with DEP.

22           CHAIRMAN GEORGE:

23           Representative Hutchinson.

24           CHAIRMAN HUTCHINSON:

25           Thank you. I guess I want to go on to

1 two, two subject areas. Number one, I just want to  
2 --- and while we have you here, I think one of our  
3 other testifiers is also going to make mention of  
4 this, but I want to clear the record about --- is it  
5 Dimock Township? Is that the correct ---?

6 MR. HINES:

7 Yeah.

8 CHAIRMAN HUTCHINSON:

9 Yeah. And although you mentioned that as  
10 a problem --- sort of kind of you said it was a  
11 problem in your testimony --- it's my understanding,  
12 and I think part of this understanding comes from a  
13 release from your Department, that Dimock Township is  
14 not impacted by Marcellus drilling; is that correct?

15 MR. PERRY:

16 The water supply problems in Dimock were  
17 a result of Marcellus well, wet wells located adjacent  
18 to those homes. We had about ten Marcellus wells that  
19 were in close proximity to about 13 drinking water  
20 wells, and those wells were impacted by those  
21 Marcellus wells.

22 CHAIRMAN HUTCHINSON:

23 My understanding is that that was from  
24 --- those were from shallower, non-Marcellus. That's  
25 where I want to go with this.

1                   MR. PERRY:

2                   I'm sorry. I misunderstood your  
3 question.

4                   CHAIRMAN HUTCHINSON:

5                   Okay.

6                   MR. PERRY:

7                   There was a Marcellus Well being drilled,  
8 but you're absolutely correct. The gas that impacted  
9 those water wells came from a shallower formation that  
10 they encountered on the way down. It was not properly  
11 isolated while they were drilling. So it was not gas  
12 coming from the Marcellus Shale formation itself, it  
13 was a shallower formation.

14                  CHAIRMAN HUTCHINSON:

15                  And as a follow-up to that, it's also,  
16 just for the record, the hydrofracturing activity is  
17 not --- has not impacted the water supplies there? Is  
18 that a true statement?

19                  MR. PERRY:

20                  To the best of our knowledge, we have  
21 never seen direct communication from a frac job into  
22 fresh groundwater. Fracing's been the standard  
23 practice in Pennsylvania since maybe the late '50s,  
24 and right now about 100, almost 100 percent of all  
25 wells, oil and gas, undergo the hydrofracture process

1 using the same chemicals that they use in Marcellus.  
2 We've not seen, we've not seen fresh water being  
3 impacted directly by fracing.

4 CHAIRMAN HUTCHINSON:

5 Thank you very much for clarifying that.  
6 Because that --- both of those statements clarify what  
7 I know to be true, and unfortunately many have used  
8 these examples as ways that somehow Marcellus Shale  
9 and fracing is ruining the environment. And although  
10 there is potential there, I will admit that, it has  
11 been done very safely. The fracturing's been done  
12 very safely for many, many years in Pennsylvania and  
13 across the country, so ---.

14 The other line of questioning I wanted to  
15 ask, I wanted to --- where'd that go? Okay.  
16 Regarding the proposed T.D.S. rates, I wanted to see  
17 if it's possible, and it's my understanding that you  
18 are working with a technical committee to make sure  
19 that you do this the right way. Is that in any way  
20 --- have you slowed down the regulatory approval  
21 process in any way to accommodate that, or are you  
22 going to just go ahead, do the regulations and then,  
23 then say, well, we're getting technical assistance  
24 from industry sort of after the fact, I guess?

25 MR HINES:

1           The answer, the short answer is no. The  
2 way the process is set up is the Environmental Quality  
3 Board directed us to work with a subcommittee of our  
4 Water Resources Advisory Committee. They had two key  
5 issues they had to contend with, the questions of how  
6 are we going to deal with T.D.S. from an economic and  
7 a technology standpoint? In addition, the  
8 subcommittee will work with us as we evaluate the  
9 various public comments.

10           So the answer is that the subcommittee is  
11 actually part of the regulatory development process.  
12 They were to provide us a letter for our Water  
13 Resource Advisory Committee, make a recommendation,  
14 one of which, I understand, is dealing with reuse and  
15 recycling. The other one is dealing with primarily a  
16 watershed approach to managing T.D.S. issues.

17           My understanding, although I wasn't at  
18 that particular meeting --- Dana was, I believe ---  
19 the Committee did not get full concurrence on that.  
20 But we will be getting those types of comments through  
21 this process through our own Water Resource Advisory  
22 Committee.

23                           CHAIRMAN HUTCHINSON:

24           I just want to emphasis how important it  
25 is that you work with not only the oil and gas

1 industry, but there's so many --- you listed all the  
2 other industries that are impacted by T.D.S.  
3 regulations. And it could have a huge, huge impact on  
4 everything from water, you know, sewage rates to other  
5 industries that may lose employment because they can't  
6 comply with these things.

7                   So I ask you to do this in a thoughtful,  
8 comprehensive and technical way as you move forward.  
9 This is a big change you're proposing, and I thank you  
10 for taking those thoughts into consideration. Thank  
11 you.

12                   CHAIRMAN GEORGE:

13                   Representative Gabler?

14                   MR. GABLER:

15                   Thank you, Mr. Chairman. I just had a  
16 quick question to hopefully frame the issue a little  
17 bit better. As I'm thinking through this, we're  
18 talking about all the different ways in which water  
19 may be impacted through Marcellus Shale activity. And  
20 I'm thinking through the different processes in which  
21 a Marcellus Shale well comes about. And from my own  
22 knowledge, it seems to me that there's four areas that  
23 you may want to look at where water impacts my occur.  
24 This is my own thoughts here.

25                   In the initial drilling, the well goes

1 down through the water table and measures need to be  
2 taken to make sure that that's done safely. Once  
3 you're down through there's concrete casing, and to  
4 ensure the integrity of that casing, to make sure  
5 there is no back and forth between the water table and  
6 the well. Then once you got the fracturing, the  
7 hydrofracturing going on, you've got flow-back and  
8 disposal to deal with.

9                   And then also you mentioned in your  
10 testimony that there is the question of gas migration  
11 into other wells. Are there any other areas involved  
12 in a drilling operation where you think that it's  
13 important to look at for water purposes?

14                   MR. HINES:

15                   Well, let me, let me walk you through.  
16 And when you said four points, and it's really --- the  
17 way I describe it is a four-step process. From  
18 beginning to end, just like from cradle to grave, if  
19 you will, on the water end, step one is the water  
20 withdrawal aspect of it.

21                   And the Department manages water  
22 withdrawal through our Clean Streams Law and a little  
23 act called Act 220 2002, which was the Water Resources  
24 Planning Act. Act 220 requires any withdrawals over  
25 10,000 gallons a day on a 30-day average to be

1 registered by the State.

2 MR. GABLER:

3 Uh-huh (yes).

4 MR. HINES:

5 Combining that with the Clean Streams Law  
6 is how we are managing the withdrawal aspect of it.  
7 So every company has to produce a water management  
8 plan. Basically, where are you going to withdraw all  
9 the water from for your fracturing process? Then you  
10 have to do an evaluation on the impacts to the stream  
11 or that water body of that withdrawal. So that's step  
12 one.

13 Step two really deals with the site  
14 operations. And although Scott is probably more  
15 articulate on that point, I'll just kind of give it  
16 globally. There's two key areas, our erosion and  
17 sedimentation regulations, basically how we manage the  
18 site development, keeping the mud out of the stream as  
19 you develop the site. Then there's the actual Oil and  
20 Gas Act, which deals with the drilling aspect of it,  
21 the site design and other components of the site.

22 The next piece of that is the  
23 transportation of the frac water, which is managed  
24 under our Solid Waste Management Act. And then  
25 finally it is the disposal process, which we are

1 managing under the Solid Waste Management Act, the  
2 Clean Streams Law and our N.P.D.E.S. permitting.

3           So and it really took time for the  
4 Department, we looked at our existing regulations, our  
5 laws in the books, how can we stitch together a  
6 program from the withdrawal to the disposal that both  
7 serves with some clarity --- and although arguably  
8 clarity and regulations is an oxymoron --- but it  
9 serves clarity for the industry, but most importantly  
10 it protects that water from the time of the withdrawal  
11 to the time when it's disposed of.

12           MR. GABLER:

13           Thank you very much. I wanted to go a  
14 little bit further, actually as Representative  
15 Hutchinson did a little bit ago, and me too, I wanted  
16 to understand the aspects of gas migration a bit more.  
17 I've had some discussions with constituents and would  
18 really like to extend my understanding on this. So  
19 based on that exchange, it's my understanding that  
20 there has not been to anyone's knowledge an instance  
21 where gas from the Marcellus formation has found its  
22 way through the ground upward into the water table?

23           MR. HINES:

24           That's correct; not to our knowledge.

25           MR. GABLER:

1           So how does gas migration happen? It  
2 would be through, it would be through the process of  
3 when you're drilling down, you hit a more shallow  
4 formation that you were expecting?

5           MR. PERRY:

6           That's what happened at Dimock. And the  
7 other ways that it happens is basically through  
8 improper casing and cementing, the points that you  
9 raised. If you do not take care to have enough cement  
10 in place and it's not properly cemented, you're going  
11 to have an opportunity for gas to escape the well  
12 bore. And that's what happened in the Hedgehog Lane  
13 incident that John Hines mentioned, in addition to  
14 Dimock.

15          MR. GABLER:

16          I've had a constituent raise some  
17 concerns to me that concrete by nature is a porous  
18 material. So how does a porous material --- what kind  
19 of standards are in place for the concrete to make  
20 sure that the casing does not allow any exchange into  
21 and out of the well?

22          MR. PERRY:

23          Well, right now we have basically a  
24 narrative standard that's supposed to prevent that  
25 from happening. We are amending the regulations as we

1 speak to pull in A.S.T.F. cementing standards so that  
2 you have more specific regulations over the cement.

3           So cement, while it does have some  
4 porosity, has been obviously successful in preventing  
5 gas migration in the overwhelming number of wells that  
6 have been drilled in Pennsylvania. We have almost  
7 120,000 active wells in Pennsylvania right now, and  
8 only 1,000 of which are Marcellus. So we have a long  
9 history of preventing gas from escaping these wells,  
10 and the cement and casing practices are key to that.

11           MR. GABLER:

12           How common is it for a cement casing to  
13 fail?

14           MR. PERRY:

15           It's uncommon. Again, it's the vast  
16 minority of cases where you have a problem in the  
17 first place. If you drill 5,000 wells in a year, we  
18 don't expect to see more than one or two or ten water  
19 supply complaints, and maybe one of which would be gas  
20 migration. It's been unfortunate, though, that we've  
21 had the Hedgehog Lane and Dimock situation occur in  
22 the same year.

23           MR. GABLER:

24           Now, what would be the most common reason  
25 for a cement casing to fail? In your experience, what

1 would cause that to happen? Was it not constructed  
2 properly or was it beyond prediction?

3 MR. PERRY:

4 For casing, if you're using new casing,  
5 the issue would be the coupling. If you're using ---  
6 you have plain welded pipe, so a bad weld job can  
7 leave a pinprick hole in the casing.

8 And then also when you've got collar  
9 casing where you're screwing the two pipes into place,  
10 if that joint isn't tight enough you could have a  
11 problem there. But the casing failure is I think less  
12 than the cementing problem. The cement plays a more  
13 crucial role because you're going to have the cement  
14 going up on the outside of the casing as it'll fill in  
15 any holes or defects that might be there in the  
16 casing.

17 MR. GABLER:

18 Very good. Thank you. This has  
19 certainly helped extend my understanding, and I look  
20 forward to further testimony. Thank you very much.

21 CHAIRMAN GEORGE:

22 I thank the gentlemen. It's getting late  
23 and I have other testifiers here, so I'm just going to  
24 ask you a couple of quick questions very pointedly.  
25 I'm amazed that I read and heard in your testimony

1 that the material that is used in fracing is a trade  
2 secret. My question to you is that how in the world  
3 do you know when it's treated in a plant that it's  
4 treated properly? If you don't know what it was  
5 before it started, how in the world do you know what  
6 it is when it's finished?

7 MR. AUNKST:

8 Well, as Mr. Hines said in his testimony,  
9 we know what the parameters are, we know the  
10 chemicals.

11 CHAIRMAN GEORGE:

12 You don't know whether what is toxic is  
13 being taking out. And the second question I want to  
14 give you now is that there's as much as 17 percent of  
15 that material stays in the ground; is that accurate?

16 MR. PERRY:

17 The initial flow-back from a Marcellus  
18 well is about a third of the water that's put down it.  
19 Over time the rest of it comes back out as produced  
20 wastewater. That wastewater has to be completely  
21 chemically characterized before it can be taken for  
22 disposal. That's part of our residual waste  
23 regulations, and that information's supposed to be  
24 made available to the wastewater treatment plants, as  
25 well.

1                   CHAIRMAN GEORGE:

2                   So you wouldn't have any objections,  
3 either of you, if in legislation we insisted that we  
4 know --- and it's amazing to me that with all these  
5 companies, every one of them have only their own trade  
6 secret. I just don't agree with that. And I also  
7 what I've read is that there's certain toxic chemicals  
8 in that water and that some of it can be carcinogen  
9 carrying; isn't that true?

10                  MR. AUNKST:

11                  One or two of the parameters that we've  
12 seen are known carcinogens, that's true. But again,  
13 as a properly characterized waste, when water comes  
14 back out of the well, in cases that we've looked at  
15 where we've looked at all of these parameters, they're  
16 non-detectable except for half a dozen. And those do  
17 get treated through the treatment process.

18                  CHAIRMAN GEORGE:

19                  Now, while you're there, the use of an  
20 open pit to store wastewater is meant to be temporary,  
21 but drilling a horizontal well could take weeks.  
22 Isn't it unsafe to allow the use of open pits for  
23 weeks on time when the pit liner can easily be  
24 breached?

25                  MR. HINES:

1           Mr. George, we have very stringent  
2 construction standards for pits and impoundments. We  
3 evaluate that in the construction process. We do  
4 groundwater monitoring at those sites and we utilize a  
5 30-millimeter liner on any of those pits. We do feel  
6 we have very stringent construction standards on  
7 those.

8                   CHAIRMAN GEORGE:

9           Now, does the DEP have a C.A.S. number  
10 for every chemical constituent in the solution?

11                   MR. HINES:

12           I believe we have a C.S. number for the  
13 majority of those constituents. We will be working to  
14 get all those constituents identified.

15                   MR. PERRY:

16           We have access, we have access to both  
17 the --- all of the C.A.S. numbers through E.P.A. The  
18 material safety data sheets we have in hand do have a  
19 handful of chemicals that do not provide the numeric  
20 identifier and --- but we can work with E.P.A. to get  
21 that, that identifier.

22                   CHAIRMAN GEORGE:

23           I thank you all for your testimony.  
24 Thank you very much.

25                   MR. HINES:

1 Thank you, Representative George. Have a  
2 good day.

3 CHAIRMAN GEORGE:

4 Now we call on the next testifier.  
5 Gentleman, Thomas W. Beauduy, Deputy Director and  
6 Counsel for the Susquehanna River Basin Commission.  
7 Welcome.

8 MR. BEAUDUY:

9 Thank you, Mr. Chairman. Is this  
10 working?

11 CHAIRMAN HUTCHINSON:

12 Yes.

13 MR. BEAUDUY:

14 Chairman Hutchinson, members of the  
15 Committee, we appreciate the opportunity to be here  
16 today. As you know, we are a federal-interstate  
17 compact commission and we have the responsibility and  
18 authority to manage water resources throughout the  
19 Susquehanna River Basin.

20 The Chairman's letter of invitation today  
21 to speak here today asked us to comment not only on  
22 mitigating environmental risks associated with  
23 drilling in the Marcellus Shale in general, but the  
24 provisions of House Bill Number 2213 in particular.  
25 With respect to 2213, let me commend you as the

1 Committee generally, and all cosponsors for your  
2 interest in proposing or considering improvements to  
3 the Oil and Gas Act of 1984.

4           At the time that legislation was crafted  
5 --- and there's a number of us in the room that  
6 actually have fingerprints on that legislation. I'm  
7 dating myself, but not as a member but as a staffer.  
8 I think it's very fair to say that the activity we are  
9 experiencing today in the Marcellus Shale play was  
10 never contemplated when that Act was put together.  
11 And so therefore it's appropriate to take a look at  
12 that law, the governing statute and make sure that it  
13 meets contemporary standards. So I compliment you on  
14 that initiative.

15           It is always appropriate as circumstances  
16 change to look at statutes that were developed in a  
17 certain period of time where the new changes weren't  
18 contemplated and making appropriate adjustments. Take  
19 the issue of bonding, for example.

20           The current amounts set in the statute  
21 are a reflection of what was deemed to be appropriate  
22 back in 1984, over 25 years ago. If the policy  
23 imbedded in the statute is to avoid having the public  
24 assume the risk of replacing a water supply, of  
25 restoring a pad site or plugging a well, then the

1 amount of such bonds should reflect those costs. So  
2 whatever adjustments you believe are appropriate to  
3 that, we would support.

4                   With regard to the proposed amendment to  
5 require disclosure of chemicals in hydrofracture  
6 treatment, let me just offer that the public's right  
7 to know and it's expectations for transparency in  
8 government have never been greater than the are now,  
9 and certainly are far greater than they were in 1984.  
10 We have seen quite a bit of misinformation and  
11 misconception surrounding this issue, so we applaud  
12 the effort to establish a clear disclosure policy in  
13 law. Be clear about what it is that should be  
14 disclosed and have it in the statute and then it  
15 becomes a non-issue.

16                   I would only note that with regard to the  
17 actual provisions in the legislation, the proposed  
18 legislation, the disclosure requirements are limited  
19 to the Marcellus. Arguably, they could be extended to  
20 any hydrofracture operation, regardless of the target  
21 formation involved. If it's appropriate to disclose  
22 hydrofracture chemicals related to hydrofracture  
23 mixes, it doesn't matter whether it's the Marcellus,  
24 the Utica, or some other formation for which that  
25 treatment is being applied.

1           Let me also speak to the suggested  
2 modifications to the rebuttable presumption provisions  
3 of Section 208. Of note is your desire to extend the  
4 presumption to the diminution of water supplies. This  
5 is a very notable thought. We deal with diminution  
6 issues all the time, and they are very problematic.

7           But I just want to caution --- and this  
8 it not a philosophical issue, this is a drafting  
9 issue, quite honestly --- that you can have problems  
10 with the expansion of this to diminution. First and  
11 unrelated to natural gas, whenever you have multiple  
12 sources pulling from the same aquifer --- we're not  
13 talking about withdrawals --- you often see diminution  
14 but it does not affect the ability of someone to  
15 continue to use their source of supply for the  
16 services intended.

17           In other words, you can have de minimus,  
18 inconsequential losses or diminution to the aquifer  
19 that don't affect anybody. What you're interested in  
20 is that level of diminution that causes harm. Read  
21 literally, this language could apply to the de minimus  
22 situation.

23           Secondly, the amount of pre-drilling  
24 testing needed to establish a baseline would be  
25 significant. And everyone needs to understand that.

1 You have wet years, you have dry years, and you have  
2 regular seasonal changes in the water table that all  
3 have to be factored into establishing that baseline in  
4 order to make pre-drilling surveying an appropriate  
5 and effective tool. We would suggest that you give  
6 those issues some consideration as you deliberate this  
7 legislation. Again, those are drafting issues.

8           With respect to your request for comments  
9 on mitigating environmental risks associated with  
10 drilling in the Marcellus in general, let me speak to  
11 the Commission's role and the steps we've taken to  
12 minimize environmental impacts related to water use by  
13 this industry.

14           First, and as we've noted in prior  
15 testimony before this Committee, our business is water  
16 resource management. It's not mineral resource  
17 development. We don't regulate drilling. We don't  
18 regulate the production or transmission of natural  
19 gas, nor do we regulate the treatment, disposal and  
20 reuse of flow-back and production fluids, including  
21 brines. What we do regulate is the withdrawal and  
22 consumptive use of water associated with natural gas  
23 development.

24           Our management objective is to have the  
25 industry avail itself of the water resources in the

1 basin and the development of this important mineral  
2 resource, but to do it in a way that minimizes impact  
3 to the basin's water resources. It was the Spanish  
4 philosopher Santayanna who said, those who cannot  
5 remember the past are condemned to repeat it.

6           In the past, as Representative Carroll  
7 noted, we have seen mineral exploitation occur at the  
8 expense of society, where the environmental risk was  
9 not mitigated but instead transferred to the public.  
10 We don't want to repeat that history and perpetuate  
11 that legacy and we don't need to. We need to be smart  
12 and we need to use the lessons that we've learned.

13           One of the things we realized almost  
14 immediately when the Marcellus Shale industry came to  
15 town was that our traditional regulatory scheme did  
16 not fit the type of activity that this industry was  
17 undertaking. In short, we realized that we needed to  
18 modify that regulatory approach, not to change our  
19 substantive standards to protect the environment,  
20 protect the water users, other water users, but to  
21 administratively change how we manage it to make it  
22 more effective.

23           Within the last 18 months we have  
24 undergone three different regulatory changes in order  
25 to improve that regulatory program. Given our

1 concerns for potential environmental impact, I will  
2 tell you that we effectively eliminated our standard  
3 regulatory thresholds that we use for all other  
4 industries. For this industry, our regulatory  
5 authority starts with the use of gallon one.

6           Although we've made specific rule changes  
7 related to this industry, I should point out that we  
8 have not modified any of our current standards or  
9 requirements associated with the review and approval  
10 of water withdrawals. The natural gas industry  
11 continues to be subject to the same standards that all  
12 withdrawals across the basin are subject to and we  
13 believe are appropriate to protect our water resources  
14 as we simultaneously allow for their utilization to  
15 support this important industry and in fact all  
16 industries across the basin.

17           With regard to the evaluation of  
18 withdrawals, we look to whether a proposed taking  
19 should be subject to a protective passby flow  
20 condition, which restricts the ability to take water  
21 during low flow conditions. This essentially cuts off  
22 the withdrawal when flows reach a certain threshold in  
23 order to protect in-stream habitat and other  
24 downstream users.

25           We undertake that evaluation using

1 criteria that is applicable to all surface water  
2 withdrawals, not just those requested by the natural  
3 gas industry. This protocol enables us to evaluate  
4 the impact of the withdrawal, and involves looking  
5 both upstream and downstream to assess cumulative  
6 impact, taking into account all other withdrawals and  
7 discharges and their impact on the resource,  
8 particularly during low flow conditions.

9           To date we have issued 110 surface water  
10 approvals to the natural gas industry, most of them  
11 involving a passby condition to protect stream flow.  
12 We have not seen the industry turn to the groundwater  
13 resources yet, but we anticipate that happening in  
14 some of the glaciated regions of our basin given that  
15 base flows in those regions are not well-equipped to  
16 sustain depletion during low flow conditions.

17           I will tell you that I found out today on  
18 the way here that we have, in fact have two  
19 applications for groundwater withdrawals. They're the  
20 first in the two years since the Marcellus industry  
21 came to town. But I should note that, because it  
22 changes my testimony. With regard to groundwater, I  
23 will tell you that the Commission has a very robust  
24 aquifer testing protocol that must be utilized by  
25 anyone who's proposing a withdrawal, and it's designed

1 to make sure that those withdrawals do not negatively  
2 impact the aquifers from which the water's being  
3 withdrawn.

4                   We also have approved 20 public water  
5 supply systems as sources for water and have an  
6 additional 11 systems currently under review.  
7 Interestingly, the industry has turned to these  
8 systems to supply approximately 45 percent of the  
9 water used in the Marcellus Shale play, at least in  
10 our basin. For the industry it's a matter of  
11 economics. Where it can find water closest to its  
12 drilling pad site, it minimizes transportation costs.

13                   Thus far we've approved over 500 drilling  
14 pad sites and there are some preliminary findings that  
15 are starting to come back. We require post-  
16 hydrofracture reporting for all the operations that  
17 are done on these pads. We have been building a  
18 fairly good database, and we're now at a point where  
19 we can start doing trend analysis and compile real  
20 data, profile data on how water is being used by this  
21 industry.

22                   So that you know, about 87 percent of the  
23 water that is actually withdrawn by the industry is  
24 used for drilling and hydrofracture, and the total  
25 amount used to date in our basin --- this is roughly

1 an 18-month period ending on the beginning of the year  
2 --- totals 262 million gallons of water. On an  
3 annualized basis, this represents 480,000 gallons per  
4 day. Half a million gallons per day is the annualized  
5 average, if you will, of water used by this industry.  
6 To put that in perspective, a single scrubber on a  
7 power plant uses about 5 million gallons a day on one  
8 plant.

9                   Of the amount used for the industry, 55  
10 percent comes from surface water withdrawals, 45  
11 percent, again, as I noted earlier, from public water  
12 supply systems. The average total volume used in each  
13 frac operation is 2.7 million gallons of water, of  
14 which 2.2 is fresh and the other is recycled flow-  
15 back. The average recovery of fluids injected, at  
16 least in the reporting that has occurred to date, is  
17 approximately 13.5 percent. That is the recovery.  
18 And of that amount, approximately 60 percent has been  
19 reused, and 20 to 40 percent disposed of for  
20 treatment.

21                   What this means on the disposal side is  
22 that we're looking at about approximately 4 percent,  
23 actually closer to 4.5 percent of the water that is  
24 used for hydrofracturing operations goes out for  
25 disposal. That's a fairly low number. It's much

1 lower than we had anticipated. This represents the  
2 current information we have, the current water use  
3 profile data that we have, and we would be happy to  
4 provide the Committee with additional information as  
5 it becomes available and report to you perhaps  
6 annually or at some other frequency.

7 I also want, for the record, to note that  
8 the Commission is now in the process of deploying a  
9 remote water quality monitoring network that will  
10 continuously measure and report water quality  
11 conditions on smaller rivers and streams located in  
12 the northern tier of Pennsylvania and the southern  
13 tier of New York, i.e. in the watersheds where there's  
14 active Marcellus development activity occurring. I'll  
15 note that in this county, Clearfield County we have  
16 two monitoring stations that are about to be deployed,  
17 one in the Little Clearfield, one in Trout Run.

18 We've got 30 stations across the northern  
19 tier of Pennsylvania that are going in as we speak.  
20 This is a real-time monitoring system that is being  
21 designed to allow access to the data collected to  
22 other resource agencies and to the public. These  
23 locations will have passive solar units and be able to  
24 communicate with cell technology and satellite  
25 technology, provide that information to our website

1 and we will make that available to the public. You  
2 will have real-time access to data on an ongoing  
3 basis.

4           And we hope to deploy --- phase one is 30  
5 stations. We hope to be doubling, tripling,  
6 quadrupling the number of stations over time. They  
7 are expensive to develop. I want to compliment East  
8 Resources. One of the companies decided they think  
9 the industry should live with transparency. They did  
10 provide us with a \$750,000 grant to pay for some of  
11 this equipment, which we greatly appreciated.

12           But we have built some momentum and some  
13 interest in this data system because it does provide  
14 the transparency that the public wants, and it gives  
15 us an opportunity, everyone an opportunity, to see  
16 whether there are conditions that are changing out  
17 there in the streams, particularly the smaller order  
18 streams to help monitor the situation. We will  
19 continue to provide that value added service to the  
20 Commonwealth as we move forward with this activity,  
21 and I thank you again for the opportunity and look  
22 forward to your questions. Thank you.

23           CHAIRMAN GEORGE:

24           Well, thank you for your testimony.  
25 You'll stand for questions, should there be any?

1                   MR. BEAUDUY:

2                   I would welcome that.

3                   CHAIRMAN GEORGE:

4                   We'll turn to the one on my left,  
5 gentleman, Mr. Gabler.

6                   MR. GABLER:

7                   Just one quick question. You mentioned  
8 that, interesting statistic, 87 percent of water being  
9 withdrawn is being used for the drilling and  
10 hydrofracture. Where's the other 13 going?

11                   MR. BEAUDUY:

12                   Primarily for dust control on sites.

13                   MR. GABLER:

14                   Thank you very much.

15                   CHAIRMAN GEORGE:

16                   I thank the gentleman. Representative  
17 Hutchinson?

18                   CHAIRMAN HUTCHINSON:

19                   Just a quick comment. I'm impressed by  
20 your real-time monitoring system. It sounds real  
21 state of the art and it also, as you pointed out,  
22 shows what can happen when you work with an industry.

23                   They do want to, I think in most cases  
24 make sure that everything's aboveboard. And if  
25 they're going to be a partner in helping you afford

1 this kind of monitoring system, that's phenomenal.  
2 And I just want to congratulate you on your forward  
3 thinking in getting this up and going. Thank you very  
4 much.

5 MR. BEAUDUY:

6 Thank you.

7 CHAIRMAN GEORGE:

8 Representative Barbin?

9 MR. BARBIN:

10 No questions.

11 CHAIRMAN GEORGE:

12 Representative?

13 MR. CARROLL:

14 Just one quick question. Can you tell me  
15 what the typical surface water sources are? Is it the  
16 Susquehanna River itself or other sources?

17 MR. BEAUDUY:

18 No, they're not. And the biggest issue  
19 with withdrawals, quite honestly, is not the quantity  
20 of water, because this industry is really not using,  
21 in a relative sense, not using a lot of water. The  
22 problem is it's the timing and location of the  
23 withdrawals. Because a lot of this activity is  
24 occurring in our smaller order streams, you know, in  
25 the upper watersheds, where even a small withdrawal

1 can have an impact. And so that is the major concern.

2           What we do, when an application comes in,  
3 regardless of whether it's a smaller order stream or  
4 on the Susquehanna itself, we are requiring  
5 contemporary aquatic resource survey data. If the  
6 Fish Commission had just done, or DEP or someone else  
7 had just done a reach of stream, we'll utilize their  
8 data. But by and large the industry pays us an  
9 additional \$5,000 to \$10,000 for us to put out and  
10 conduct an aquatic resource survey where we're looking  
11 at not only habitat but we're looking at upstream and  
12 downstream water uses.

13           We're looking at flow dynamics, the  
14 hydrograph for that stream, and we're making a  
15 determination about whether that withdrawal can be  
16 sustained without impact on low flow conditions. And  
17 if not, we impose the passby flow requirements. That  
18 is why the industry, even though it's only using a  
19 half million a day, has asked us for over 100 million  
20 gallons a day in approvals. Because they want them to  
21 be centralized all over, they want to be able to grab  
22 water where it's available when it's available.

23           And seasonally they know that there are  
24 going to be times when they're not going to be able to  
25 go to these streams and get water, so they're starting

1 to think more about staging the water in order to be  
2 able to do that.

3 MR. CARROLL:

4 Thank you.

5 CHAIRMAN GEORGE:

6 Just one final question, if you will.  
7 The amount of drilling in the coming years, and the  
8 activity's going to double or even triple, would that  
9 be sustainable in terms of available water supply?

10 MR. BEAUDUY:

11 We believe, at this point, Representative  
12 George, that it will be. And I say that for the  
13 following reason. We are looking at withdrawals. We  
14 had predicted and our prediction --- and the  
15 assumptions that we're making, we don't have a lot of  
16 good science for. But we looked at what happened in  
17 the Haynesville. We looked at what happened in the  
18 Fayetteville formation. We looked at what happened in  
19 the Barnett down in Texas. We looked at the potential  
20 here, and we made a determination.

21 Based on the amount of use we saw  
22 occurring in those formations and what was likely to  
23 occur here, that on an annualized basis we're probably  
24 talking about 28 million gallons a day. Now, we're  
25 only at a half million right now, so it could double.

1 It could go up tenfold this year and it would still  
2 only be five million a day.

3           In the scheme of things, I will tell you  
4 that the power industry's withdrawing 3.4 billion a  
5 day in this industry. And I can tell you that the  
6 golf course industry is using more than ten times the  
7 amount that the Marcellus Shale industry is using, in  
8 fact for more than that. So in a relative sense, it's  
9 not a lot of water. Again, the issue is where are  
10 they taking it, when are they taking it, what are the  
11 size of the streams that they're taking it from.

12 That's where there's a potential for conflict, and  
13 that's why we've imposed the standards that we have.

14           Because you're right, as this increases  
15 --- and I'll give you an example. You know,  
16 historically our Commission has approved 50, 60, 70  
17 projects a year. Last year we approved about 100.  
18 The past month we've had over 100 applications  
19 submitted. This is really starting to take off,  
20 Chairman George, and I believe that your concern is  
21 extremely valid. It is something that we're trying to  
22 stay on top of, and that is, what's the cumulative  
23 impact of this industry going to be as it builds out?

24           We think we are monitoring that. We  
25 think we have a handle on it, and we will put

1 appropriate controls in place if we think that it is  
2 getting beyond the capability of the resource to  
3 sustain it. And not just in this industry. But that  
4 resource has to satisfy a greater public. It has to  
5 satisfy other industries, public water supply systems  
6 and the like and try to balance all those interests at  
7 the same time.

8 CHAIRMAN GEORGE:

9           Wouldn't it be somewhat practical, rather  
10 than go into the ground and utilize the hydrology  
11 remaining in the stratosphere, or in the earth,  
12 wouldn't it be somewhat reasonable to utilize water  
13 that's been affected by previous industries and then  
14 recycle that water and use it and then recycle it, and  
15 prevent the use of new hydrology. You know, there are  
16 times when unfortunately I disagree with you.

17           In this area here we haven't had the  
18 precipitation in the past couple years that we've had  
19 prior to that. Wouldn't it be appropriate to utilize  
20 water that's been affected by other industries, rather  
21 than go into the ground and take water that might be  
22 very scarce?

23 MR. BEAUDUY:

24           Absolutely. And we've tried to  
25 incentivize that. Let me tell you how. In two ways.

1 Number one, take A.M.D. for example. If there are  
2 operations that are proposing to utilize A.M.D. as  
3 opposed to freshwater sources, we are providing  
4 waivers on the fees associated with the review of  
5 those applications.

6           Secondly, to the extent that --- for all  
7 this, we consider all this water use to be consumptive  
8 when lost to the basin. And there's a mitigation  
9 standard that has to be met. If they are reusing  
10 wastewater, if they are reusing flow-back, if they are  
11 using A.M.D. water, any lesser quality water, they do  
12 not have to meet those mitigation standards. We are  
13 trying to incentivize and direct the industry to  
14 utilize the least quality of water to preserve our  
15 pristine resources for other uses, particularly human  
16 uses.

17                   CHAIRMAN GEORGE:

18                   Thank you for your testimony.

19                   MR. BEAUDUY:

20                   Thank you.

21                   CHAIRMAN GEORGE:

22                   We will now be calling --- I hope I  
23 pronounce it appropriately --- John Baillie, Senior  
24 Attorney, PennFuture, Pittsburgh office.

25                   CHAIRMAN HUTCHINSON:

1 John, they've been holding the ---.

2 ATTORNEY BAILLIE:

3 This, yes.

4 CHAIRMAN HUTCHINSON:

5 Yes, yeah. Make sure it's turned on and

6 ---.

7 ATTORNEY BAILLIE:

8 Here (indicating)?

9 CHAIRMAN HUTCHINSON:

10 No, the other end. That one.

11 ATTORNEY BAILLIE:

12 Okay. Thank you.

13 CHAIRMAN HUTCHINSON:

14 Thank you. You can start when you're

15 ready. Thank you.

16 ATTORNEY BAILLIE:

17 Okay. Chairman George, Chairman

18 Hutchinson, members of the Committee and distinguished

19 guests, I would like to thank you for this opportunity

20 to comment on House Bill 2213. My name's John Baillie

21 and I'm a senior attorney for Citizens of

22 Pennsylvania's Future.

23 PennFuture is a statewide public interest

24 membership organization with offices in Harrisburg,

25 Pittsburgh, Philadelphia, West Chester and Wilkes-

1 Barre. PennFuture's purposes include advocating and  
2 litigating on behalf of the environment and public  
3 health on a statewide basis.

4           House Bill 2213 proposes to make a number  
5 of changes to the Oil and Gas Act. The Act has not  
6 been amended in any significant way since it was put  
7 in the books in 1984. PennFuture agrees with the  
8 sponsors of the bill that there's a need to revisit  
9 many of the Act's provisions in light of the  
10 development of Marcellus Shale, which presents a set  
11 of challenges that could not have been anticipated in  
12 1984. We commend Chairman George and the other  
13 sponsors of the bill for taking the first steps needed  
14 to respond to those challenges.

15           With that in mind, I offer these comments  
16 to the bill. First, the bill would impose a number of  
17 new requirements of wells drilled into the, quote,  
18 unquote, Marcellus Shale, and with good reason. Wells  
19 are being drilled into the Marcellus Shale at an  
20 increasing rate, and these wells use drilling  
21 techniques including high-volume hydraulic fracturing  
22 and horizontal drilling that increase the potential  
23 for pollution.

24           However, the Marcellus Shale is not the  
25 only gas bearing geologic formation in Pennsylvania.

1 Those same drilling techniques are likely to be used  
2 to extract gas from other formations in the future.  
3 Drilling in those other formations is likely to raise  
4 similar water pollution concerns to those that we see  
5 in connection with the Marcellus Shale.

6           Accordingly the bill should be revised  
7 throughout so that the protections extend not only to  
8 the Marcellus Shale gas wells but also to any gas  
9 extraction activities that use high-volume hydraulic  
10 fracturing and horizontal drilling techniques,  
11 regardless of the formation they tap into.

12           Second, Section 208 of the Oil and Gas  
13 Act creates the presumption that any pollution of a  
14 source of water that occurs within 1,000 feet of a gas  
15 well and within six months of drilling results from  
16 the drilling and creates an obligation for the well  
17 operator to replace or restore the polluted water  
18 source. The bill would amend Section 208 to extend  
19 its protections to the sources of water within 2,500  
20 feet of a gas well.

21           It's important to bear in mind that  
22 although the presumption created by Section 208  
23 carries with it a benefit for those who live close to  
24 gas wells, it also creates a burden. To take  
25 advantage of the presumption, the person who owns or

1 uses a water source within a zone protected by Section  
2 208 must incur the expense of having both the water  
3 quality and flow rate of the water source tested by a  
4 certified laboratory after receiving notice that  
5 drilling is set to occur.

6           In setting the size of the zone protected  
7 by Section 208, the General Assembly should balance  
8 the likelihood of pollution against the cost of the  
9 tests that owners of water sources must have performed  
10 in order to take advantage of those protections.

11           Experience has shown us, however, that  
12 there is justification to extend the zone protected by  
13 Section 208 from the current 1,000 feet. In Dimock  
14 Township in early 2009, drilling activities at a  
15 Marcellus Shale gas well contaminated at least one  
16 water source that was 1,300 feet away from the well.  
17 In light of that occurrence, the zone protected by  
18 Section 208 should be extended so that all water  
19 sources that could be adversely affected by nearby  
20 drilling activities receive the full protection of the  
21 Act.

22           Third, the Oil and Gas Act currently does  
23 not purport to require gas well operators to disclose  
24 any information about the chemicals that they use  
25 during the drilling process. Nevertheless, DEP

1 already requires companies drilling in Marcellus Shale  
2 to disclose the ingredients of the fracturing fluids  
3 that they use and make a list of those ingredients  
4 available to the public on the DEP website.

5           The bill would add a Section 208.1 to the  
6 Oil and Gas Act, which would also require the well  
7 operator to disclose to DEP a list of the chemicals  
8 that they use in the hydraulic fracturing process and  
9 would further expand well operators' disclosure  
10 obligations to include the formulas for those  
11 chemicals and the concentrations of drilling fluid's  
12 chemical constituents.

13           Many of the known chemical constituents  
14 of drilling fluids are hazardous and toxic. Requiring  
15 well operators to disclose which hazardous and toxic  
16 chemicals are present at the well site is critical so  
17 that the well site --- well operator's employees, DEP  
18 and local emergency personnel can respond  
19 appropriately if there's a spill or release at the  
20 site.

21           However, it also appears that  
22 manufacturers of fracturing fluids can legitimately  
23 claim that the concentrations of the fluids' various  
24 ingredients are confidential trade secrets. Well  
25 operators purchase fracturing fluids but may not be

1 privy to the concentrations of the ingredients within  
2 the fluids. Consequently, it may be impossible for  
3 them to disclose those concentrations to DEP

4           The purpose of allowing well operators'  
5 employees, DEP, and local emergency personnel to  
6 respond appropriately to spills or releases should be  
7 adequately served if lists of fracturing fluids  
8 ingredients used at each gas well are disclosed to DEP  
9 and made available to the public and emergency  
10 responders. Accordingly, sponsors of the bill should  
11 consider removing the requirement that well operators  
12 disclose the concentration of the ingredients in the  
13 fracturing fluids in order to avoid imposing an  
14 obligation on drillers that they must fight, but that  
15 will produce little, if any, extra marginal benefit to  
16 the public, while retaining the other provisions of  
17 the proposed Section 208.1.

18           Fourth, Section 215 of the Oil and Gas  
19 Act imposes a bonding requirement on well operators to  
20 ensure that Pennsylvania's taxpayers are not forced to  
21 bear the expense of plugging old and abandoned wells  
22 if the operators of those wells fail to comply with  
23 their obligation to do so. The bill would amend  
24 Section 215(a) of the Oil and Gas Act to increase the  
25 bonding amount for gas wells, most significantly to

1 \$150,000 per Marcellus Shale well.

2           The bonding amounts currently in the Oil  
3 and Gas Act were set in 1984 and have not been changed  
4 since. They are inadequate. Sponsors of the bill  
5 have recognized they need to be increased  
6 significantly to account not only for inflation that  
7 has occurred since 1984, but also for the increased  
8 pollution or potential for pollution that results from  
9 new drilling techniques now used across Pennsylvania.

10           PennFuture supports increasing the  
11 bonding amounts for the gas wells so that they  
12 accurately reflect the costs of plugging wells and  
13 restoring well sites and protect Pennsylvania  
14 taxpayers from the burden of well operators' failures  
15 to comply with their obligations under the Oil and Gas  
16 Act.

17           And fifth, since I came up here from  
18 Pittsburgh and I live in the city, this is a point  
19 that's near and dear to my heart. Section 602 of the  
20 Oil and Gas Act currently states that local ordinances  
21 that are enacted pursuant to the Municipalities  
22 Planning Code or the Flood Plain Management Act that  
23 purport to regulate oil and gas well operations are  
24 preempted by the Act. The bill would amend Section  
25 602 to clarify that such local ordinances are

1 preempted only to the extent they purport to regulate  
2 oil and gas well operations and that to the extent  
3 local ordinances would regulate other aspects of oil  
4 and gas well operations, including time and place of  
5 those operations, the ordinances would not be  
6 preempted by the Act.

7           We believe the proposed amendments to  
8 Section 602 are consistent with recent decisions of  
9 the Pennsylvania's Supreme Court that confirmed the  
10 traditional power of municipalities to regulate the  
11 time and place of gas drilling operations within their  
12 boundaries, and also recognize that by the Oil and Gas  
13 Act, the Commonwealth reserved for itself the power to  
14 regulate the manner of operating gas wells within  
15 Pennsylvania.

16           However, PennFuture notes that the  
17 Marcellus Shale underlies all the City of Pittsburgh  
18 and that gas drilling has been proposed for sites  
19 within the city already. Because the Pittsburgh City  
20 Code was not adopted pursuant to either the  
21 Municipalities Planning Code or the Flood Plain  
22 Management Act, the power of the City even to assert  
23 its traditional zoning powers over gas drilling  
24 operations is questionable. Accordingly, we urge that  
25 the bill be amended to include ordinances that are

1 validly enacted under the Second Class City Code so  
2 that the City of Pittsburgh can assert its traditional  
3 zoning powers over the gas drilling in the same manner  
4 as other municipalities across the Commonwealth.

5 Thank you for giving me and also  
6 PennFuture this opportunity to comment on House Bill  
7 2213. I welcome any questions that you might have for  
8 me.

9 CHAIRMAN HUTCHINSON:

10 Thank you. I'll start with one question,  
11 and maybe it's --- it may be exciting, because I think  
12 I agree with you on something. I just wanted to  
13 clarify. You're saying that your organization  
14 believes that because of the technical problems in  
15 finding out the exact concentrations by the well  
16 operator themselves in the fracking fluid, that the  
17 cost benefit and all the hassle is really not worth  
18 it. You're just saying your organization believes the  
19 only thing that's necessary is that the actual  
20 chemicals themselves are available onsite and  
21 available to the public, and the specific recipes, as  
22 it were, are not necessarily or shouldn't necessarily  
23 be required in every case. Is that a fair statement  
24 of what you're saying here?

25 ATTORNEY BAILLIE:

1 Well, I guess I'd characterize it  
2 differently.

3 CHAIRMAN HUTCHINSON:

4 Okay.

5 ATTORNEY BAILLIE:

6 I would say that we believe that it's of  
7 paramount importance that the constituents be  
8 available to and publically disclosed. I mean, it  
9 would be a terrible shame if a local emergency  
10 responder got a mouth full of stuff and died as a  
11 result of it because he didn't know what he was  
12 dealing with.

13 We also think that to get, to get the  
14 concentrations disclosed is going to a burden,  
15 tremendous burden for industry, but also that all the  
16 environmental and public health concerns that would be  
17 served by making the concentrations publicly available  
18 are pretty much going to be met if the ingredients  
19 themselves are available. You know, whether a given  
20 well uses eight parts per million chemical X or ten  
21 parts per million chemical X in its frac job probably  
22 doesn't make all that much difference in the long run.

23 CHAIRMAN HUTCHINSON:

24 Thank you. And that's what I thought. I  
25 appreciate that. We'll start with questioning,

1 Representative Carroll.

2 MR. CARROLL:

3 None, thank you.

4 CHAIRMAN HUTCHINSON:

5 Representative Barbin?

6 MR. BARBIN:

7 I have one question. I was looking at  
8 your testimony, page five of seven. Do you have a  
9 specific suggestion for the Committee to review as it  
10 relates to a bond amount? Because on page five you  
11 indicate that there's \$150,000 per Marcellus Shale  
12 well, and then on the others you indicate on the next  
13 page that D.C.N.R. has already used \$125,000 bond  
14 requirement when it's leasing its acres to --- is  
15 there a suggested amount that you think will cover the  
16 bond, you know, the bond amount that's needed 20 years  
17 in the future?

18 ATTORNEY BAILLIE:

19 I'm not sure what it is. I've heard  
20 anywhere from \$12,000 a well to \$150,000 a well.

21 MR. BARBIN:

22 Has there been any study that you're  
23 aware of that indicates how much really is needed 20  
24 years from now if there are problems with an  
25 individual well?

1                   ATTORNEY BAILLIE:

2                   No, not that I'm aware of. I do want to  
3 mention, though, currently it's at \$2,500 a well, and  
4 that will not --- that doesn't even pay the guys to  
5 come out.

6                   MR. BARBIN:

7                   I understand and I agree with that  
8 suggestion.

9                   CHAIRMAN HUTCHINSON:

10                  Representative George?

11                  CHAIRMAN GEORGE:

12                  Well, I imagine that you disagree with  
13 this in your statement. Both the Chesapeake Energy  
14 and Range Resources CEOs McClendon and Pinkerton have  
15 stated that the companies providing frac solution  
16 should make full disclosure and should not make trade  
17 secret claims. They dismiss the notion that  
18 disclosure would take away a company's competitive  
19 advantage as silly. I guess you disagree with them,  
20 from what I've heard you say.

21                  ATTORNEY BAILLIE:

22                  I don't disagree with them, but ---.

23                  CHAIRMAN GEORGE:

24                  Well, then why didn't you say that?

25                  ATTORNEY BAILLIE:

1 Well, here's why. We'd like to see this  
2 bill passed, and we'd like to see it passed in as  
3 close to current form as it is. And we wonder whether  
4 it will be able to be passed if you include, you  
5 include the requirement that drillers disclose the  
6 concentrations of the frac --- of the constituents in  
7 their fracing fluid. So rather than take nothing,  
8 we'll take 99 percent.

9 CHAIRMAN GEORGE:

10 This is just my opinion, but I think  
11 others will be supportive of it, but we have great  
12 technology and very brilliant people in this country  
13 of ours. We can make various forms of energy and  
14 various forms of different capacities, but there's one  
15 thing that we can't do. We can't make water. And any  
16 time, even though I'm supportive, but there's been  
17 cases where an individual's water has been disrupted  
18 or changed in some way.

19 Very possibly you haven't been aware of  
20 areas where water, especially a source that's come  
21 into a community has affected 80, 90 or 100 people  
22 with intestinal disorder and sometimes worse than  
23 that. I think if we don't protect our water and make  
24 sure it's okay, we're doing an injustice to the people  
25 we serve.

1                   ATTORNEY BAILLIE:

2                   I agree with you 100 percent, Chairman  
3 George. But as I explained to Chairman Hutchinson, I  
4 question whether any extra protections are provided by  
5 the requirement that the exact concentration of  
6 chemicals within fracking fluid --- whether any extra  
7 benefit is provided.

8                   CHAIRMAN HUTCHINSON:

9                   All right. Thank you. Thank you for  
10 your testimony and for your answers to our questions.  
11 Thank you.

12                   CHAIRMAN GEORGE:

13                   The next testifier will be Kathryn Z.  
14 Klaber, President of the Marcellus Shale Coalition,  
15 and David Spigelmyer, Vice-Chairman of the Marcellus  
16 Shale Coalition. Welcome to the both of you.

17                   MS. KLABER:

18                   Thank you. Thank you very much.  
19 Chairman George, Chairman Hutchinson, thank you for  
20 inviting us to be here today. My name's Kathryn  
21 Klaber. I serve as President and Executive Director  
22 to Marcellus Shale Coalition. I'm here with David  
23 Spigelmyer, who's Vice-Chairman of our organization  
24 and also Vice-President of Government Relations for  
25 Chesapeake Energy.

1 Dave and I are both natives of  
2 Pennsylvania. He hails from DuBois, just right down  
3 the road. And I grew up in Beaver County, studying  
4 environmental science in central Pennsylvania at  
5 Bucknell University, starting my family and career in  
6 Philadelphia and then back in the southern,  
7 southwestern part of the state, where I now live.

8 And both of us are here today very much  
9 in the spirit of making Pennsylvania, our native  
10 Pennsylvania a great place to work, live and raise a  
11 family. We also each have a lifelong appreciation of  
12 the many natural beauties of Pennsylvania, ardent  
13 proponents of keeping Pennsylvania's environment  
14 protected for generations to come. And indeed  
15 environmentally responsible development of Marcellus  
16 Shale is the cornerstone of our organization's  
17 mission.

18 As Chairman of this Committee, Chairman  
19 George, and the State Representative of Clearfield  
20 County since 1974, we certainly recognize your  
21 historic commitment to conservation of the environment  
22 and appreciate the Committee's review of this very  
23 important subject, as you have been very clear about  
24 the need to maximize the real economic opportunity of  
25 the Marcellus Development without jeopardizing the

1 environment. And on that goal we are all today, I  
2 think, on the same page.

3           When you speak of the economic  
4 opportunities, I'm sure you're considering the tens of  
5 thousands of landowners across Pennsylvania, including  
6 many right here in Clearfield County, who are  
7 anxiously anticipating the wealth creation and the  
8 significant royalties contemplated when they signed  
9 their leases, royalties that will not be realized  
10 until Marcellus producers can extract the gas, prepare  
11 the gas and ultimately transport it to market.

12           And you clearly understand the need to  
13 enforce existing environmental regulations in  
14 Pennsylvania and, where appropriate, provide  
15 modernization of the existing Oil and Gas Code. We  
16 need to modernize this, set it in statute, to reflect  
17 the current technology and today's modern shale  
18 development.

19           We collectively must get this right. We  
20 don't want to deny the benefits of this resource to  
21 Pennsylvania. There are extremely important economic,  
22 environmental, and energy security benefits to using  
23 natural gas in the Commonwealth and in the country.  
24 And getting this right will require policy makers to  
25 take a hard look at all of the legislative proposals

1 that impact Marcellus development, as well as an  
2 honest assessment of the arguments proponents use to  
3 push this legislation.

4 I'll respect the time limits imposed on  
5 the testimony today, and it'll be an all-too-brief  
6 presentation of these very important and sometimes  
7 complex issues. However, I encourage the Committee  
8 and the folks here in attendance to access the  
9 plethora of information on our website at  
10 [www.pamarcellus.com](http://www.pamarcellus.com) and to reach out to me or any of  
11 the member companies of our organization on issues  
12 that may not be covered in sufficient detail today.

13 We structured our formal comments to  
14 address three of the major issues identified by  
15 Chairman George. First of all, casing and cementing  
16 wellbores. Secondly, hydraulic fracturing fluids.  
17 And third, equipment disinfection. First, I'd like to  
18 address development of a well, the associated casing  
19 and venting of wellbores.

20 Industry does know from drilling  
21 thousands of gas wells that proper drilling, casing  
22 and cementing is essential to secure the maximum yield  
23 from those wells and to protect the water tables.  
24 That's why we're working so closely with DEP, the lead  
25 regulatory agency, to determine and impose best

1 practices as it relates to this activity.

2           As you probably know, this issue has  
3 recently been addressed in significant detail by the  
4 Oil and Gas Technical Advisory Board of the DEP. That  
5 group of regulators, industry representatives,  
6 academia, and representatives of the public interest  
7 have spent many hours and multiple sessions developing  
8 a sound approach to updating 25 PA Code Chapter 78,  
9 covering the construction of oil and gas wells. That  
10 proposed rulemaking was published in the Pennsylvania  
11 Bulletin on January 30th and proposes numerous  
12 modifications regarding the drilling, casing,  
13 cementing, testing, monitoring and plugging oil and  
14 gas wells to enhance the protection of drinking water  
15 supplies.

16           I believe this Chapter 78 process is a  
17 current and very prime example of how the natural gas  
18 industry is developing the Marcellus Shale while  
19 working right alongside regulators to establish the  
20 most protective and workable rules. Let me provide  
21 several examples of how the process worked and the  
22 outcomes that are reflected in this draft rulemaking.

23           First, the parties needed to establish an  
24 enforceable way to make sure that the initial well  
25 casing was properly positioned. The industry

1 committed to using a technology called a centralizer  
2 to ensure that the casing cement is evenly distributed  
3 around the well casing. The parties identified new  
4 recordkeeping and reporting, with the industry  
5 supplying more data to the agency and to those  
6 inspectors. Third, the industry will develop casing  
7 and cementing plans for each well that will be  
8 available for review and inspection onsite by DEP  
9 inspectors, and new inspection requirements are being  
10 established to require operators to perform mechanical  
11 integrity tests at least quarterly, with the results  
12 recorded and retained and, again, available for review  
13 by the Department.

14           As you know from an announcement several  
15 weeks ago by the Governor, DEP will be hiring more  
16 staff to help implement these rules. And the  
17 Marcellus Shale Coalition did issue a statement  
18 following that announcement. And in that statement we  
19 talked about our support of both the permit fee  
20 increases that were accepted by the industry in order  
21 to support this additional 68 DEP staff and to  
22 continue to work very closely with the agency on  
23 enforcement and in permit issues.

24           There are a series of successive steps  
25 used to develop a well, and we've heard about some of

1 these today. But I just wanted to make sure on the  
2 record that we've talked about this, those  
3 redundancies, in providing layers of protection to the  
4 groundwater.

5           First, a conductor pipe is used to  
6 stabilize the well bore, and that happens at the  
7 beginning of the process. And next, the well is  
8 drilled to a depth of several hundred feet below the  
9 freshwater zones. The pipe is set and cemented back  
10 to the surface to protect the water table. This  
11 represents the first level of protection for fresh  
12 water, steel pipe and cement, between the gas that  
13 will eventually flow through the well and the  
14 surrounding groundwater.

15           Next, another section of the well bore is  
16 drilled to beyond 1,000 feet, and again that well  
17 casing is sealed, seated, and the annular space is  
18 filled with cement back to the surface. And now we've  
19 got a more solid defense from any gas migration into  
20 freshwater zones. And at this point the bottom of the  
21 well runs deeper than any freshwater zone. And  
22 finally the well bore hole is drilled to the total  
23 depth and a final production string is run and  
24 cemented back to the surface. So I think through that  
25 process and through the additional review of Chapter

1 78, you've got a really good program in place to  
2 continue to protect groundwater in Pennsylvania.

3           The second topic I wanted to address was  
4 the fluids used for hydraulic fracturing. This is  
5 another way where --- or another place where  
6 Pennsylvania deserves to get the facts about water  
7 management for Marcellus Shale development. The  
8 actions of industry, the regulatory agencies and the  
9 legislature must be --- the actions must be based upon  
10 these facts. And furthermore, we must all work  
11 together to make sure we are certain to be responsive  
12 of public concern.

13           The fact is that Pennsylvania's  
14 regulations governing the use and management of water  
15 needed to drill a Marcellus well are among the most  
16 stringent in the nation and ensure the protection of  
17 the Commonwealth's water resources. Water withdrawal  
18 from streams and rivers must be approved, as we've  
19 heard from the previous testimony, including the  
20 withdrawal location, the amount of water required for  
21 each well, as well as detailed storage and treatment  
22 plans.

23           The industry currently treats or recycles  
24 all of its flow-back water. Recycling accounts for  
25 approximately 60 percent of the water used to complete

1 Marcellus Shale wells, with greater percentages  
2 predicted for the future. And some of our companies  
3 are already achieving recycling rates of this water at  
4 90 percent or better.

5           As I'm sure we all recognize, this  
6 recycling greatly reduces the amount of water that  
7 needs to be treated and returned to waterways, and  
8 also reduces the amount of fresh water that's  
9 withdrawn. There are more than a dozen approved water  
10 treatment facilities available to treat flow-back  
11 water, with plans for additional capacity underway.

12           One other item that we heard about in the  
13 previous testimony is the use of various sources of  
14 acid mine discharge water that is very much being used  
15 by some in the industry. And we're going to see  
16 attempts to make that an even more prevalent part of  
17 the water sourcing in the future.

18           Companies are working with international  
19 water quality experts funding research and development  
20 projects to develop mobile and permanent treatment  
21 technologies such as evaporation and crystallization.  
22 These efforts will enhance the Commonwealth's overall  
23 water treatment capabilities, beyond just the natural  
24 gas industry, while bringing more commerce into  
25 Pennsylvania.

1                   We're also researching reliability of  
2 using deep underground injection well technology. It  
3 is a proven safe disposal method in other regions of  
4 the country. It has also been endorsed by Secretary  
5 Hanger as an important wastewater disposal option in  
6 Pennsylvania.

7                   The industry's committed to using best  
8 management practices in all aspects of its operations,  
9 including significant investment in advanced flow-back  
10 water treatment capabilities and recycling  
11 technologies and will continue to innovate for  
12 additional solutions in this area. So, you know, in  
13 conclusion on that issue, I think it's very important  
14 to see that there is no one single, correct way to  
15 address water, water disposal. We need a menu of all  
16 very safe options that make water disposal a important  
17 part of what Pennsylvania can do to develop this  
18 resource.

19                   With respect to the disclosure of the  
20 components of the fracturing fluid, and  
21 notwithstanding some of the misleading statements  
22 we've heard to the contrary by those who would appear  
23 to want to see this Marcellus opportunity for  
24 Pennsylvania fail, the information is available on  
25 these components in multiple places. Just like in

1 other regulated industries, the natural gas industry  
2 complies with the Federal Occupational Safety and  
3 Health Administration rules, the OSHA rules that  
4 require that M.S.D.S., material safety data sheets, to  
5 be onsite disclosing the components of the products in  
6 use. And let me, let me be clear, the Marcellus Shale  
7 Coalition absolutely supports full disclosure of  
8 chemical constituents, just like it's done in other  
9 industries across the country and right here in  
10 Pennsylvania.

11                   Furthermore, I urge the Committee and the  
12 entire General Assembly to spend some time reviewing  
13 another website, [energyindepth.org](http://energyindepth.org), which confronts a  
14 host of misleading arguments that anti-Marcellus  
15 groups and individuals have made with respect to the  
16 fracking process, with a particular emphasis on the  
17 following notion, that far too many continue to  
18 ignore, "no groundwater pollution or disruption of  
19 underground sources of drinking water has been  
20 attributed to hydraulic fracturing of deep gas  
21 formation." Importantly, this statement comes from  
22 our own Pennsylvania Department of Environmental  
23 Protection and has been echoed by state and federal  
24 regulatory agencies across the country.

25                   This site, Energy in Depth, also

1 addresses the federally proposed FRAC Act, which is,  
2 in short, a solution looking for a problem, and that  
3 this solution would effectively eviscerate the DEP's  
4 current permitting role, as well as add tremendous  
5 costs and significant, significant delays to the  
6 permitting process. If enacted, the Federal FRAC Act  
7 will directly hurt landowners in Clearfield County, as  
8 well as other Marcellus producing counties throughout  
9 the Commonwealth. I urge you all to reach out to the  
10 Pennsylvania delegation and convey your opposition to  
11 this very short-sighted legislation.

12 I think there's a lot of important issues  
13 on water that have been brought up today, putting use  
14 into perspective. The monitoring that is being done  
15 in the western branch of the Susquehanna, as well as  
16 other places around the Commonwealth ask how companies  
17 such as these resources --- they're an active member  
18 of our organization --- has looked at putting their  
19 own resources into creating a transparent situation.  
20 Total dissolved solids, that issue deserves more  
21 transparency, more data to understand the nature of  
22 the issue.

23 The last issue that I wanted to address  
24 was around equipment disinfection. The disinfection  
25 of drilling equipment that is used at Marcellus Shale

1 drilling sites needs to be better understood, as well.

2           Given the magnitude of the impact at  
3 Dunkard Creek, it is very understandable that sadness  
4 can be followed by outrage, and I don't think any of  
5 us enjoyed at all seeing what had happened in that  
6 creek. But the headlines and the content that ran in  
7 the media used baseless suppositions to try and blame  
8 Marcellus drilling for that tragedy.

9           Even after the December headline, E.P.A.  
10 pins killing of Dunkard Creek on mine discharges, the  
11 innuendos have created a connection in the public's  
12 mind that somehow the Marcellus drilling was at fault.

13           It's really important that we start with  
14 the facts. Most of the Marcellus drilling rigs were  
15 custom-built for Appalachia, never drilled a well in  
16 another area of the country and, therefore, thereby  
17 highly unlikely carriers of algae from other regions.

18           Drilling equipment is pressure-washed,  
19 cleaned following operations before being moved to  
20 another location here, including those imported from  
21 other states to develop wells in Appalachia.

22           The golden algae that was identified in  
23 the Dunkard Creek incident is found in more than 32  
24 states and across the globe. It is not uncommon for  
25 these types of organisms to transfer from watersheds

1 on a variety of vehicles, fishing equipment, migrating  
2 birds and others.

3           In conclusion, I just want to highlight  
4 an issue that has not been the subject of this  
5 hearing, because this is the Environmental and Energy  
6 Committee, because it's a very, very important part of  
7 this Marcellus development, and that's jobs. Because  
8 we ask our elected officials all the time to create  
9 new opportunities for jobs, opportunities that will  
10 allow us to stay in Pennsylvania, to raise our  
11 children here, and hopefully someday our grandchildren  
12 here, and to keep them, you know, close to home. I  
13 think the Marcellus Shale has clearly given us the  
14 kind of opportunity that we've asked for for years and  
15 years.

16           In this room I think everybody agrees  
17 that environmental protection's absolutely a critical  
18 factor involved in this industry, and let's all work  
19 together to ensure that the economic opportunity is  
20 all that it can be. Thank you.

21           CHAIRMAN GEORGE:

22           David?

23           MR. SPIGELMYER:

24           Thank you, Mr. Chairman. Mr. ---

25 Representative Hutchinson made the comment, Chairman

1 Hutchinson, right off the bat that we need to do this  
2 right. Indeed, the goal of the Marcellus Shale  
3 Coalition is for the environmentally responsible  
4 development of this resource.

5           As well, Chairman George, you made a  
6 comment in the beginning that this is not a new  
7 industry in Pennsylvania. I wanted to make a couple  
8 observations to share with you. We drill 4,000  
9 conventional natural gas wells in the Commonwealth.  
10 We've done it since 1859 at the Drake Well in  
11 Titusville. This is not new to Pennsylvania, but this  
12 has the potential to be a game changer.

13           We produce about 25 percent of the  
14 natural gas that we consume today in the Commonwealth,  
15 182 billion cubic feet of natural gas, compared to  
16 about 810 billion cubic feet of the natural gas we  
17 consume. So why is this a game changer? Marcellus  
18 has the potential to assist us in all of our  
19 manufacturing products. If you think about natural  
20 gas being the primary feed stock fuel for all steel,  
21 glass, plastics, chemicals, fertilizers, powdered  
22 metals, pharmaceuticals, some electric generation.  
23 And even vehicles today, just to go to east of here,  
24 the State College bus fleet runs entirely on natural  
25 gas. It's an extraordinary opportunity, we have the

1 technology today to use in our transportation fleets,  
2 and we need to do more of that.

3           Why is this important to you and your  
4 constituents? I wanted to share with you a couple  
5 comments on that point. First of all, is utility  
6 bills. Folks that consume natural gas in their homes,  
7 they receive a bill that shows the commodity charge  
8 and the demand charge on their bill. A few people  
9 know what the demand charge is, but they don't realize  
10 that the other 75 percent of the natural gas that  
11 comes to Pennsylvania, it comes here through long-line  
12 pipelines. I think Chairman George used to work for a  
13 pipeline company a long, long time ago. But  
14 nonetheless, those long-line pipeline companies  
15 deliver gas from the Gulf of Mexico and Midwest. That  
16 demand charge could be as high as \$2 an Mcf in units  
17 that's delivered to the home. That costs your  
18 constituents dollars.

19           And you think about the price of natural  
20 gas today being \$570 or \$575 on the open market, the  
21 transportation unit being \$2 alone, you're talking  
22 over 35 percent of the product delivery to the home is  
23 subject to that transportation charge. I think that's  
24 a big deal.

25           We have the Marcellus natural gas

1 available right under our very feet in the  
2 Commonwealth. I'm not telling you we could eliminate  
3 that demand charge, but I think we can reduce it  
4 dramatically and provide cheaper energy for our ---  
5 not only our industries, but our commercial operations  
6 and the residents here in the Commonwealth.

7 I also wanted to share with you what I  
8 think is a conservation measure attribute. We talked  
9 about 4,000 natural gas wells that we've drilled  
10 conventionally in the Commonwealth. We'll likely  
11 never get to 4,000 wells in the Marcellus industry.  
12 This past year we drilled probably 700. We're  
13 probably at a little over 1,000 Marcellus wells in the  
14 Commonwealth in a little over two years. This year  
15 there'll be about 5,000 permit requests delivered to  
16 the Department of Environmental Protection. About a  
17 third of those will get developed. I'm guessing in  
18 the neighborhood of 1,500 wells will be developed in  
19 the Commonwealth. Why is that important for us?

20 If you think about it, it took 4,000  
21 wells to produce 182 billion cubic feet of natural  
22 gas. We think in less than five years, if we can move  
23 Marcellus development towards the 3,000 number, then  
24 we can be self-sufficient in Pennsylvania, producing  
25 more than we can consume. That's a key point for us,

1 I think, moving us to a level of independence.

2           If you look at the key attributes of  
3 natural gas in this United States, it's almost 100  
4 percent domestically produced. So from an energy  
5 security standpoint, it's very crucial. From an  
6 environmental standpoint, when you talk about  
7 generating electricity, it's about 45 percent less  
8 carbon than coal, 30 percent less than oil, dramatic  
9 reductions in sulfur dioxide and nitrogen oxide and  
10 emits virtually no particulates. It's an  
11 environmental winner and its right here in  
12 Pennsylvania.

13           I also wanted to share with you some of  
14 the economic attributes of Marcellus development in  
15 Pennsylvania. Few folks have focused on the big  
16 picture, the amount of dollars already being generated  
17 for an industry in climb.

18           I joined the company that I work for just  
19 a year ago. I was employee number 220. Today we're  
20 at 973, and by the end of this month we'll likely be  
21 over 1,000 employees employed right here in the  
22 Commonwealth, paying our taxes, you know, building our  
23 homes and working in our communities.

24           Last year alone we've estimated over \$395  
25 million dollars in state and local taxes were

1 generated, hotel and motel tax, food and beverage tax,  
2 sales tax, personal income tax, capital stock and  
3 franchise tax, corporate net income tax.

4 Extraordinary opportunities. Over 48,000 jobs  
5 generated in Pennsylvania last year, and estimated by  
6 the end of this year we'll exceed 79,000 jobs in the  
7 Commonwealth and probably more than a billion dollars  
8 of economic output in terms of state and local tax  
9 revenue, royalty income on state lease plans as well  
10 as state lease opportunities for us.

11 So those are a few observations I have.  
12 I'd be happy to stand for questions and appreciate you  
13 having this hearing today.

14 CHAIRMAN GEORGE:

15 I thank the both of you for your  
16 testimony. I'll turn to Representative Carroll.

17 MR. CARROLL:

18 Thank you, Mr. Chairman. I'm intrigued  
19 with the prospect of 90 percent recycling of the water  
20 and wonder if we could expect the use of A.M.D. water  
21 since the technology's advanced to that point.

22 MS. KLABER:

23 Yes, I mean A.M.D. water is already being  
24 used by certain companies that are in the right  
25 location to use that A.M.D. water that is proximate to

1 their operations. There are continuing abilities for  
2 companies to use new A.M.D. water, but you know, I  
3 can't give you an exact number on that.

4           The recycling is where, you know, there's  
5 been so much innovation in a very, very short period  
6 of time. Over the last, you know, six to nine months,  
7 reaching that level of 60 percent overall with some  
8 companies at 90 percent and up, that has changed,  
9 really, the game in terms of what we expected, what  
10 DEP expected when they put the proposed strategy  
11 together for T.D.S. Thought it was going to be 100  
12 percent of the water used needing to be treated, and  
13 we're well, well below that. So those are two, two  
14 great opportunities in the right direction.

15           MR. SPIGELMYER:

16           I'd just make a comment on the issue of  
17 disposal. I think a number of our companies would  
18 like to see disposal options continue to develop in  
19 the Commonwealth.

20           The company that I work for, we have 23  
21 rigs operating in Pennsylvania right now, primarily in  
22 the northern part of Pennsylvania, north central  
23 Bradford County and Susquehanna Counties. We're  
24 recycling almost 100 percent of the water that we  
25 produce from our well operations. And frankly the

1 issue on disposal options and treatment options, we're  
2 worried about one day when, you know, when the amount  
3 of water that we generate exceeds our need in the  
4 future fracing operations. When I talk about  
5 recycling, we capture that water in steel lined tanks.  
6 We filter that water and mix it with our next frac  
7 job, meaning we need less water on the front and we  
8 mix it with fresh water.

9           When the day comes when we're not  
10 producing as much or may have a shortage of capital,  
11 we may need some disposal options. So that still  
12 remains as an item that we would like to see developed  
13 in the Commonwealth. We think the capitalist approach  
14 will likely bring treatment technologies to  
15 Pennsylvania. But now, and we think it's a good  
16 solution for Pennsylvania, we're reusing almost 100  
17 percent of the water we produce.

18           MR. CARROLL:

19           Well, to the extent that you have to  
20 augment that water, I really would ask the industry to  
21 take a look at the A.M.D., especially in the northeast  
22 part of the state. It's a colossal problem that's  
23 really a challenge to solve. And to the extent that  
24 you could use A.M.D. when augmented --- you need to  
25 augment the water supply really would be a great

1 benefit for a host of us for all sorts of reasons.

2 MS. KLABER:

3 Absolutely. And I think it's a win-win,  
4 both taking away that legacy problem and then taking  
5 away some of the T.D.S. loading that's associated with  
6 it.

7 MR. CARROLL:

8 And then just broadly, you know, the  
9 hearing today is on the bill. And I really didn't  
10 hear a whole lot in the testimony in opposition to the  
11 various components of the bill, with possible  
12 exclusion of the, you know, the disclosure of the  
13 components. Broadly speaking, the bill as drafted,  
14 does the industry have --- are we getting any --- some  
15 sort of a quiet endorsement of this approach?

16 MS. KLABER:

17 No, I think that there's some elements of  
18 the bill that are repetitive of existing rules that  
19 are already, you know, on the books. So I do think  
20 that some of the elements of the bill either are not  
21 necessarily required to be able to do some of the  
22 things that the industry's already been doing.

23 MR. SPIGELMYER:

24 Well, I also want to mention, this  
25 industry has worked very closely in partnership. We

1 need to work in partnership with our regulators and  
2 with our legislators, and you have our commitment to  
3 work closely with you on this.

4 MR. CARROLL:

5 And that would be my final comment. I  
6 mentioned it to the Department earlier, and I  
7 mentioned it to the industry that we had to get this  
8 right. I was mentioned in the testimony but, you  
9 know, we just can't have a repeat of mistakes that  
10 were made in the past. You know, this generation,  
11 future generations are going to count on us to get  
12 this right.

13 And you know, I lived a stone's throw  
14 from the Kwonkat (phonetic), that is an absolute  
15 eyesore and it generates an orange stream that flows  
16 towards the Lackawanna River. We can't have those  
17 kinds of occurrences happen again. And it really is  
18 incumbent upon all of us to get this right.

19 MR. SPIGELMYER:

20 Representative Carroll, I can't say it  
21 any other way. This isn't yesterday's coal industry,  
22 we're a highly regulated industry and we share the  
23 same goal. We know that the billions of dollars that  
24 have been invested in the Commonwealth, that if we  
25 don't do it right, they'll end pretty quickly.

1                   CHAIRMAN GEORGE:

2                   Mr. Barbin?

3                   MR. BARBIN:

4                   Thank you, Mr. Chairman. I have two, two  
5 quick questions. And thank you for your testimony  
6 today. I do think that this is a game changer for  
7 Pennsylvania, and how we go about balancing putting  
8 additional people to work with protecting our natural  
9 resources will be the difference as we come out of the  
10 recession.

11                   But with that said, there is a perception  
12 by the public that some of the jobs that have been  
13 created by the industry have been taken by out-of-  
14 state workers who finish a job and go back to Oklahoma  
15 or West Virginia. And what is it --- that is the  
16 perception, but what is it that the industry can do so  
17 that we can ensure that when we make these balances,  
18 that the people who need the jobs --- we're still at  
19 ten percent unemployment --- are coming from our  
20 communities that will also have the drilling rigs in  
21 their backyards?

22                   MR. SPIGELMYER:

23                   Representative Barbin, there's a couple  
24 of answers to this that I'd like to share. First of  
25 all, the Marcellus Shale Coalition has begun working

1 in coalition with our community college system, our  
2 college systems and our technical schools, primarily  
3 Penn College, to try and develop a workforce training  
4 initiative to prepare our students in Pennsylvania for  
5 some of this work.

6           Admittedly there are some jobs that have  
7 come from the Gulf Coast states in Pennsylvania, a  
8 highly technical operation on the larger rigs that  
9 have never operated in Pennsylvania. These rigs are  
10 called triples. They can handle three strings of  
11 drill pipe 30 feet in length on each, on each drill  
12 rig.

13           Many of those jobs, the fact that gas  
14 prices went from \$14 an Mcf to \$3 an Mcf, many of the  
15 rigs in the Gulf Coast states were laid down. Some of  
16 those technical operations on the rig floor have come  
17 from the Gulf Coast states into Pennsylvania. These  
18 are 12 hours a day, 14 days on and then get 14 days  
19 off. A lot of those folks have indeed come to  
20 Pennsylvania.

21           But all the water hauling, rock hauling,  
22 construction of the well pad, environmental work,  
23 engineering work, those have been jobs filled by  
24 Pennsylvanians and will continue to be filled by  
25 Pennsylvanians.

1                   As well, we'd like to prepare our  
2 workforce through a workforce training initiative on  
3 rig training to make sure we're preparing students  
4 that may not be of a geologic engineer ilk to get on  
5 the rig floor and work with us in training programs,  
6 and we're working to try and develop some of that here  
7 in the Commonwealth.

8                   MS. KLABER:

9                   And I'll give follow-up, Representative.  
10 You talked about, at the beginning, a question about  
11 the balance between jobs and the environment. A lot  
12 of these jobs, like the ones Dave mentioned at  
13 Chesapeake, are in the environmental field. I mean  
14 these advances in recycling are being done by  
15 environmental civil engineers. Some of our associate  
16 members of the Marcellus Shale Coalition are  
17 environmental firms who are the consultants doing a  
18 lot of this work on treatment.

19                   So there are jobs. We're not only  
20 balancing the economic and the environmental, but a  
21 lot of these jobs are in environmental professions.

22                   MR. BARBIN:

23                   And my last question would be this. I  
24 agree with Representative Carroll, that the A.M.D.  
25 discharge water is a really good place to try to make

1 a win-win is for DEP. As I understand, the industry  
2 problem is with the total dissolved solids being both  
3 salts as well as metals. But if you were --- if the  
4 State were to maybe encourage the use of that A.M.D.  
5 water, you know, treated properly so that it could be  
6 used for fracing (phonetic) purposes, you would  
7 actually be encouraging the water systems themselves  
8 to be better than they can now be because there's a  
9 limited amount of money that we have for A.M.D.  
10 projects. And there are more than enough A.M.D.

11 projects that are still on the boards that could be  
12 started if we could have a revenue source that will  
13 allow more of those projects to get up and running.

14                   So my suggestion is that the industry  
15 ought to be working with DEP right now while you're  
16 doing T.D.S. standards to say, we're also looking to  
17 move our water withdrawal requirements from A.M.D.  
18 And if it means that we need to come up with a tax  
19 credit if you do use A.M.D. water, we should be doing  
20 that, because the overall question is, how do we make  
21 our waterways cleaner? That's the overall question.

22                   It doesn't matter whether it has this  
23 many parts salt or this many parts metal. It's the  
24 overall water quality that we're all interested in.  
25 Thank you.

1                   MS. KLABER:

2                   I have a clear take away from both your  
3 comments today, and we'll take that back to the  
4 Coalition.

5                   CHAIRMAN GEORGE:

6                   I was about to caution you, David, but  
7 I've allowed a lot of flexibility. Are you done, Mr.  
8 Barbin?

9                   MR. BARBIN:

10                  I'm done, Mr. Chairman.

11                  CHAIRMAN GEORGE:

12                  Only because you blew the whistle on me  
13 working in the piping industry.

14                  CHAIRMAN HUTCHINSON:

15                  We can strike that from the record, I  
16 guess, Mr. Chairman. I wanted to go to a technical  
17 thing that was mentioned by two of our previous  
18 testifiers. I assume you've heard the talk about ---  
19 and this is in the bill itself, regarding the  
20 diminution of water supply, the drafting, the way  
21 that's talked about. Could you comment on that?

22                  A, do you see the same drafting kind of  
23 problems, and B, is diminution something that's  
24 already covered or not? I think there's --- that's  
25 sort of something new to me today, I think.

1                   MS. KLABER:

2                   You're talking about the assimilative  
3 capacity of --- and we did in, actually in my previous  
4 role before taking this job, looked at 30 years worth  
5 of data from DEP, across the ten most largest  
6 waterways in Pennsylvania. Total dissolved solids has  
7 been an issue in all of those waterways at various  
8 times over that course of 30 years.

9                   You know, this is not a new problem.  
10 T.D.S. is a fluctuating compound, and it has been  
11 assimilated in different ways in different watersheds  
12 around the Commonwealth. In our comments on the  
13 T.D.S. rule, we talked very much about having a  
14 watershed by watershed approach. And then in stream  
15 requirements are much more appropriate to the  
16 watersheds and are also much more economically  
17 feasible. So assimilative capacity is absolutely  
18 there.

19                   We don't want to play games with it in  
20 any way, hence the additional monitoring that is very  
21 important to have. So you know, to answer your  
22 question about assimilative capacity, we use it every  
23 day. We use it when we brush our teeth and use that  
24 to get the toothpaste out of our mouths. But I think  
25 we have to be careful where there are problems because

1 of significant legacy challenges that we are managing  
2 our outfalls appropriately. And the places that have  
3 a tremendous amount, seasonal and otherwise, we need  
4 to use that capacity responsibly.

5 CHAIRMAN HUTCHINSON:

6 Could you also comment on the numbers  
7 that are in the bill for the bonding requirements,  
8 cost of plugging? Are those in the ballpark, high,  
9 low? What does the industry think about that at this  
10 point?

11 MR. SPIGELMYER:

12 I think there were comments made that  
13 industry can turn around and walk way from a well if  
14 they don't want to have to plug it. That's not  
15 correct. I mean as long as you're an active company  
16 in the Commonwealth of Pennsylvania, that well belongs  
17 to you and you're required to plug it appropriately if  
18 there's no longer gas producing from that well.

19 You know, we're happy to --- you know,  
20 we've never plugged a horizontal developed Marcellus  
21 well today, and those are 10,000 foot shoots, likely,  
22 in most cases or more. I think the Marcellus in  
23 Pennsylvania is 7,000 feet deep to 8,000 feet deep.  
24 Our horizontal laterals have gone out and they input  
25 at 5,000 feet, as far as 5,000 feet. So we've not

1 plugged a horizontal lateral well in the Commonwealth.

2 I'm happy to work with you on that, but I  
3 would share with you, I think it's inaccurate to say  
4 that a company can turn around and walk away from an  
5 obligation just because they don't want to incur that  
6 expense. We're always responsible for that wellbore.

7 CHAIRMAN HUTCHINSON:

8 And with leeway, can I ask one more  
9 question, Mr. Chairman?

10 CHAIRMAN GEORGE:

11 Sure.

12 CHAIRMAN HUTCHINSON:

13 And this actually is not covered in the  
14 bill itself, but it is one of the issues that's out  
15 there. You and the industry are well aware of the  
16 Governor's proposed severance tax and what that may or  
17 may not do to the future development of this industry.  
18 And if you could give a brief comment about where, you  
19 know --- what your thoughts are on that issue and how  
20 it will effect your industry going forward?

21 MS. KLABER:

22 I'll give a brief statement and then Dave  
23 can add to it, but Dave very accurately put forth in  
24 his comments a billion dollars will be collected by  
25 state and local governments in tax revenue this year

1 from the Marcellus industry. That's before any new  
2 severance tax is put in place. That tax revenue will  
3 only grow if we work in partnership to develop this  
4 resource. And that in fact can happen and will happen  
5 without the severance tax. Economics 101, the more  
6 you tax something, the less you get of it. I think  
7 that what we really want to focus on here is  
8 sustainable development of this industry for the long  
9 haul in Pennsylvania, making sure to modernize the  
10 statutes, like we've all talked about today, where  
11 that's appropriate, and making sure that it's a  
12 successful economic opportunity for all of us.

13 MR. SPIGELMYER:

14 Just a follow-up comment, there are four  
15 major shale plays across the United States, the  
16 Haynesville in Louisiana/Texas, the Fayetteville in  
17 Arkansas, the Barnett in Texas and the Marcellus. The  
18 Marcellus has gained a good bit, good bit of the  
19 capital because of its proximity to markets. But I  
20 would share with you, we're on a very, very sensitive  
21 balance. And we're building the foundation right now  
22 for the long-term sustainable growth of this industry.

23 It's not just the investment and the  
24 leasing of lands and the building of a well site.  
25 It's the construction of compression facilities, the

1 building of stripping capacity. Most folks don't  
2 realize what that is, but in the southwest and central  
3 part of the state, the out streams have heavy  
4 hydrocarbons in it, ethane, pentane, butane, isobutene  
5 and propane. They're a project process, a freezing  
6 process that allows the capture of the propane and  
7 those pieces from the natural gas stream. There are  
8 millions and millions of dollars to develop those  
9 facilities. Those kinds of investments are being made  
10 today.

11                   And the big one I didn't mention that all  
12 of you know is the next stage of this, and that's the  
13 development of the necessary pipeline infrastructure  
14 to move it to market. That's a big, a big investment  
15 that needs to be made in this Commonwealth. It's  
16 going to require a lot of capital, and pipelines are  
17 absolutely critical if we're going to get the gas from  
18 these well.

19                   Many of the wells that are being drilled  
20 right now in the Marcellus have no access to pipeline  
21 capacity yet. They're being drilled and shut down or  
22 shut in until we can get pipelines developed to get  
23 that gas to the major interstate transmission  
24 facilities to get gas to market. So my point is, is  
25 that we need to be pretty, pretty cautious and allow

1 this industry to take root in Pennsylvania before we  
2 saddle it with something that may make it uneconomic  
3 to invest in Pennsylvania, and grow the jobs necessary  
4 for this industry.

5 MS. KLABER:

6 And Chairman Hutchinson, all that  
7 investment that they've talked about was private  
8 sector investment. And I think what's very important  
9 here is these are private sector dollars from out of  
10 state, in a lot of cases, coming and investing in  
11 growing jobs here and building capital here. And we  
12 wouldn't want to mess with that. This is another  
13 place where we need to do it right.

14 CHAIRMAN GEORGE:

15 Let me say something to both you. I've  
16 allowed a lot of flexibility. You know, you're not  
17 doing us any favor. You're coming in to get the gas  
18 under our land, and we welcome you because we know it  
19 will create jobs. But while you're talking about  
20 millions, you're going to make billions. And the  
21 truth is that we're responsible as legislators to  
22 protect this land that belongs to the people.

23 Now, when I read some of the dialogue,  
24 where we know that there are out-of-state trucks,  
25 that's no issue to me. I don't care how many out-of-

1 state trucks come in. But to tell me they're all  
2 disinfected is not true, because other states don't  
3 have a law to make sure that we're not getting algae  
4 from some of those vehicles.

5           Now, again, God put the Marcellus Shale  
6 there. We ought to be able to get it. There'll be  
7 people that will find jobs, and that makes every one  
8 of us in this room happy. But they wouldn't be so  
9 happy if they turned the spigot on and found out there  
10 was no more water. So you know, we don't have to keep  
11 on this.

12           The truth is that we want to work  
13 together, but don't come across trying to tell us that  
14 there haven't been problems. Already there's a  
15 problem in the northeast from drilling in the  
16 Marcellus Shale. We're not going to get into the fact  
17 where you can drill horizontally and you go 5,000 feet  
18 and maybe into somebody's property that didn't lease  
19 you the gas. We're not going to get into that. We  
20 want you to be up front with us so we can do the best  
21 for both sides. I turn to you, Mr. Gabler.

22           MR. GABLER:

23           Thank you, Mr. Chairman. I can't help  
24 but smile when I look at the panel here. I feel like  
25 I'm looking a little bit in the mirror. I see a

1 Bucknell alum and a DuBois native, so I welcome you  
2 both.

3 I really just had a quick question with  
4 regards to you mentioned in your testimony the  
5 evaporation and crystallization technologies. It's my  
6 understanding that these are not deployed as of yet;  
7 is that correct?

8 MS. KLABER:

9 Not extensively in Pennsylvania for salt  
10 removal from the water.

11 MR. GABLER:

12 Are they in other areas?

13 MS. KLABER:

14 Crystallization and evaporation can be  
15 used, as I understand, in the mideast to desalinate.  
16 It's a very energy-intensive process to literally  
17 drive all the water off of the salt.

18 MR. SPIGELMYER:

19 I believe there is one plant operating in  
20 north central West Virginia right now.

21 MR. GABLER:

22 I just was wondering if I could ask for  
23 your comments on the economic feasibility of this or  
24 your outlook for it in the future. Being that it is  
25 so energy intensive, will it be, will it be something

1 that's economically feasible in the coming years in  
2 the near future?

3 MS. KLABER:

4 It's hugely energy intensive, as you  
5 point out. The cost for a single facility, you know,  
6 can be in the hundreds of millions. What I see is  
7 crystallization evaporation being one option for the  
8 long term so that the Marcellus industry does have  
9 options for safe and environmentally sound disposal.  
10 I'm certainly not ruling that out.

11 At this point the costs are prohibitive,  
12 not just for the natural gas industry, but as the  
13 DEP's Water Resources Advisory council has been  
14 meeting on various technology options to meet the 500  
15 parts per million proposed T.D.S. level. There are  
16 not very many ways to reach T.D.S. on the outfall but  
17 evaporation crystallization.

18 Some of the manufacturers have talked  
19 about the fact that those are --- that's a job, you  
20 know, a job-killing kind of cost. And there were  
21 several manufacturers in that series of testimony that  
22 said they would need to move their operations with  
23 that kind of cost. We believe with the natural gas  
24 industry, again, that it should be part of the overall  
25 set of options. And we'd love to see it continue to

1 become more cost-effective moving forward.

2 MR. GABLER:

3 So can I ---? Mr. Chairman, thank you.

4 CHAIRMAN GEORGE:

5 Sure.

6 MR. GABLER:

7 Mr. Spigelmyer, from your own company's  
8 experience, you had mentioned that the way that you  
9 are proceeding is that you have some flow-back from a  
10 well and you can reuse that by diluting that with the  
11 additional water that you need to do the next well.  
12 So that is how you're currently handling it. But at  
13 some point in the future you're going to need a  
14 disposal technique, and that's why it's important for  
15 us now to be working towards that?

16 MR. SPIGELMYER:

17 We certainly wouldn't want to dismiss  
18 that as an opportunity for us, absolutely. We think  
19 there's going to need to be disposal options in the  
20 future. Right now we're recycling nearly 100 percent  
21 of our produced water from the frac process.

22 MR. GABLER:

23 Thank you very much. I appreciate your  
24 testimony. And thank you, Mr. Chairman.

25 CHAIRMAN GEORGE:

1                   Now, again, this won't be long or  
2 deliberate. Kathryn, you're first. Ladies first.  
3 Now, you quoted the following statement: no  
4 groundwater pollution or disruption of underground  
5 sources of drinking water has been attributed to  
6 hydraulic fracturing or deep gas formation. Isn't  
7 that statement just a little misleading, because due  
8 to the federal exemption under the Safe Drinking Water  
9 Act, DEP wasn't even doing any tests to see if there  
10 was any causation between drilling and water pollution  
11 incidents, and the DEP just followed the E.P.A.?

12                   And two, there are court cases alleging  
13 the attribution, although it has not yet been proven.  
14 And I imagine these cases many times will get stalled  
15 and we'll never know the causation. Isn't that really  
16 true?

17                   MS. KLABER:

18                   Chairman, the connection between natural  
19 gas from deep shale and groundwater is not just DEP.  
20 Thirty (30) agencies, the Groundwater Protection  
21 Council have all determined that there is no link  
22 between the groundwater natural gas and deep well  
23 natural gas production. I absolutely stand by that  
24 comment, and it's not just my comment. Plenty of  
25 experts across ---.

1                   CHAIRMAN GEORGE:

2                   That's what they say, but you and I both  
3 know it isn't true.

4                   MS. KLABER:

5                   I disagree with you. I know ---.

6                   CHAIRMAN GEORGE:

7                   Thank you for being honest. And David,  
8 and David, your turn. Since you're from DuBois,  
9 you're not too far away from Venango, and you state  
10 that you --- drilling has been around for thousands of  
11 years, I know. I was invited up when I became a  
12 chairman in '81 to Mr. Hutchinson's to see the Drake  
13 Well where water, red water comes out and spews all  
14 over the place. And I daresay, you better bring beer  
15 because there's no clean water up there to drink.

16                   But now because the legislature is on the  
17 ball, as they were not at one time, when the coal or  
18 any other facet of industry took over, and we allowed  
19 a lot of pollution of water, we welcome you, we  
20 welcome your industry. We want to work with you, but  
21 I'm going to continue to remind you, this belongs to  
22 the people, the same people that we represent. And  
23 we'll be watching. And we'll be helping where we can.

24                   So I thank you for your patience and your  
25 testimony. I thank all of those that have testified,

1 and most of all I thank all of you that are here  
2 because I know you have a legitimate interest. God  
3 bless you, and thank you all. We have one statement.  
4 Tom, do you want to make it?

5 MR. KUHN:

6 Yes, sir. I'm Tom Kuhn. I'm the  
7 Executive Director for Mr. George, Chairman George.  
8 We brought 60 copies with all the testimony plus the  
9 pamphlet. Obviously the numbers weren't enough. For  
10 those of you that didn't get copies, we have a roster  
11 to sign in. Put your name, your e-mail, and I will  
12 see that you get an electronic copy tomorrow. Thank  
13 you very much.

14 CHAIRMAN GEORGE:

15 Now, there's one other statement I want  
16 to make, and I don't want it on the record.

17

18 \* \* \* \* \*

19 HEARING CONCLUDED AT 3:07 P.M.

20 \* \* \* \* \*

21

22 CERTIFICATE

23

24 I hereby certify, as the stenographic  
25 reporter, that the foregoing proceedings were taken

1 stenographically by me, and thereafter reduced to  
2 typewriting by me or under my direction; and that this  
3 transcript is a true and accurate record to the best  
4 of my ability.

5  
6 Jackie Haylett  
7 Court Reporter  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25